

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

STATE OF WEST VIRGINIA  
DEPARTMENT OF ENVIRONMENTAL PROTECTION  
\* \* \* \* \*  
IN RE: WEST VIRGINIA DEPARTMENT OF ENVIRONMENTAL  
PROTECTION-HUMAN HEALTH CRITERIA WORKGROUP MEETING  
\* \* \* \* \*

BEFORE: LAURA K. COOPER,  
Environmental Resources Program Manager,  
CHAIR  
CHRISTOPHER B. SMITH,  
Environmental Resources Analyst  
SCOTT G. MANDIROLA, Deputy Cabinet Secretary  
ROSS A. BRITTAIN, Environmental Toxicologist  
ANGIE ROSSER, Human Resources Generalist 2  
KATHERYN D. EMERY, Acting Director  
REBECCA MCPHAIL, Technical Analyst  
AUTUMN CROWE  
CHARLES "LARRY" HARRIS

MEETING: Wednesday, November 18, 2020  
10:00 a.m.

LOCATION: VIDEOCONFERENCE MEETING

WITNESSES: None

Reporter: Danielle S. Ohm  
Any reproduction of this transcript  
is prohibited without authorization  
by the certifying agency.

## A P P E A R A N C E S

1  
2  
3 JASON WANDLING, ESQUIRE

4 Director of the Office of Legal Services

5 West Virginia Department of Environmental Protection

6 601 57th Street, S.E.

7 Charleston, WV 25304

8 Counsel for West Virginia Department of Environmental

9 Protection

10  
11 ALSO PRESENT:

12 JENNIE HENTHORN, Owner of Henthorn Environmental

13 Services, LLC

14

15

16

17

18

19

20

21

22

23

24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

I N D E X

DISCUSSION AMONG PARTIES	5 - 86
CERTIFICATE	87

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

E X H I B I T S

<u>Number</u>	<u>Description</u>	<u>Page</u> <u>Offered</u>
---------------	--------------------	-------------------------------

NONE OFFERED

## P R O C E E D I N G S

-----

CHAIR: All right. Well, good morning everybody. Welcome to our November Human Health Criteria Workgroup Meeting.

It has been a whirlwind of three weeks since our last meeting. We have adjusted somewhat what we're going to be able to go over today, because it has only been three weeks. And it turns out the IRIS database had been delayed. Benzo(a)pyrene is really a complicated subject.

So once I got into reviewing what --- I wanted to go over what we talked about with EPA last month, because that was such a valuable discussion. And I want to make sure that we reviewed that and have any additional discussions that we would have had about any of those questions. And also talk about priority pollutants and how they are incorporated into water quality standards at the federal level, and what's expected of states.

So that's generally what we're going over today. And we're also doing a --- a quick overview of the IRIS database and just talking really quickly about that Benzo(a)pyrene but not really getting into the

1 details of it at this point.

2 I've asked Ross if he would help us with  
3 it for next month, so maybe we'll try to get to it ---  
4 we'll try to get it to it then. But we can go ahead and  
5 we can get started.

6 How is everybody doing this morning?

7 Kerry, I can't hear you. But it looks  
8 like there's like a ---.

9 Is it cold where everybody is? It's cold  
10 in my little room.

11 Mr. BIRD: It's cold here, too, whoa.

12 Angie has a beautiful fireplace behind  
13 her. I'd have that thing booming.

14 CHAIR: Yeah, Angie you're --- you're  
15 inside.

16 Right?

17 I --- for some reason, I felt like you  
18 were outside before. But is --- is this a different  
19 location or same location?

20 MS. ROSSER: Yeah, this is my living  
21 room. I have a fireplace.

22 CHAIR: Right.

23 MS. ROSSER: But I have big windows. And  
24 helps me feel like I'm outside, but yeah.

1           CHAIR:   That's fine.

2           MS. ROSSER:  I don't want to feel like  
3 I'm outside.

4           CHAIR:   No.

5           MS. ROSSER:  It's --- it's rather drafty.

6           CHAIR:   It's super cold.

7                   And we do have the person from Sargent's  
8 with us today.

9                   I'm sorry, you're --- I --- I'd like to  
10 rename you.  Because it says your name is Sargent's.  
11 And I know that's not your name.  And you told me your  
12 name at the beginning.

13           COURT REPORTER:  My name is Danielle.

14           CHAIR:   Danielle?

15                   Thanks for being with us today.

16           COURT REPORTER:  Of course.  Anytime.

17           CHAIR:   So we do have a transcript from  
18 the last meeting.  I haven't sent it out yet, because I  
19 haven't had a chance to really read through the whole  
20 thing, but I'll get that out to you guys soon.

21           AUDIENCE MEMBER:  We --- we have two  
22 transcripts that need to be sent out.

23           CHAIR:   Yes?

24           AUDIENCE MEMBER:  One is ---.

1           CHAIR: We also have the September ---

2           AUDIENCE MEMBER: Yes.

3           CHAIR: --- the September meeting.

4           Okay.

5           So let me get my screen shared. Just a  
6 second, sorry.

7           Okay.

8           So I think you guys see the beginning of  
9 my slide show now. And if I start from current slide,  
10 then you should see the presentation view.

11          Okay.

12          So again, welcome everybody. Thank you  
13 for making it today. And Kathy and Jason should be  
14 popping in pretty soon. So we'll see them pop in there,  
15 but ---. And I think Angie said she would have to leave  
16 at some point, but Autumn would continue to stay.

17          Oh, and Jennie is anybody --- is Rebecca  
18 coming today?

19          MS. HENTHORN: I think Rebecca is on.

20          MS. JOHNSON: Yeah, I'm on.

21          CHAIR: Oh, Rebecca's here?

22          Okay. Sorry. All right. Okay.

23          So you guys have probably --- probably  
24 seen the agenda. We sent --- sent out the slides



1 yesterday. So you will have seen this if you open that.

2           Again, I kind of already went over this.  
3 This is just basic review of the Workgroup like we  
4 usually do, Workgroup goals. And after that, I have  
5 five slides going over the discussion we had with EPA,  
6 just going over generally what our questions were and a  
7 really short version of what our answer was, so that we  
8 can bring that back up and talk about any of that if we  
9 have additional comments we want to bring up.

10           And then we'll talk some about priority  
11 pollutants. We'll talk about the IRIS database. And  
12 just a quick talk about what Benzo(a)pyrene is, and  
13 starting out what happened --- what --- what happened in  
14 IRIS database with that, but not really going into a lot  
15 of detail there. And then we'll just plan for our next  
16 meeting, which will be right before Christmas.

17           All right.

18           So these are our Workgroup goals. I've  
19 --- again, the --- the last three goals we kind of ---  
20 we haven't changed for some time. And we have --- we've  
21 had some discussion each time about the first one, the  
22 reasonable standards goal.

23           Last time Angie mentioned that she would  
24 prefer if it was --- if it was worded **defensible** to West

1 Virginia Legislature and EPA. So I have both of the  
2 words in there. And I've made them a different color so  
3 we can talk about that. And then as I put them both in  
4 there, I thought we could use both words and say they  
5 --- they need --- do need to be approvable, but also  
6 defensible.

7 And of course, when we submit our  
8 standards to EPA, we defend them in a --- a lengthy ---  
9 lengthy review of what we did, why we did it because  
10 they would --- they would want to know if we made any  
11 changes to something, why --- why we did it or how we  
12 did it.

13 What we've proposed for this year is EPA  
14 criteria --- EPAs own criteria, so that would be an  
15 easier --- an easier climb for if --- if the rule goes  
16 through as it is proposed this year.

17 But do we have some --- any additional  
18 discussion on --- on that and how we should --- we  
19 should word this --- this Workgroup goal?

20 MR. HARRIS: Yeah, this is Larry.

21 CHAIR: It's Larry?

22 MR. HARRIS: Can you hear me?

23 Okay. Good.

24 CHAIR: Yes.

1                   MR. HARRIS: You know, I --- I hate to  
2 keep being a pain also about the first thing, but I kind  
3 of have always felt, since I've been on this Council  
4 since it started, that number one goal --- and I --- and  
5 I'm not saying this in any way negative to the --- the  
6 employees.

7                   But the number one goal should be  
8 protecting West Virginians. So that should be ---.

9                   CHAIR: Right.

10                  MR. HARRIS: The second ---.

11                  CHAIR: So you're saying we --- you ---  
12 we can reorder them by putting ---

13                  MR. HARRIS: Yeah.

14                  CHAIR: --- that first?

15                  MR. HARRIS: And then --- and then  
16 reasonable standards would go with the --- with the last  
17 one really, I mean, to reach consensus with reasonable  
18 standards to present to the legislature and EPA. That  
19 would make more sense to me and follow more logical  
20 series of events.

21                  CHAIR: Right.

22                  MR. HARRIS: More than two sentences,  
23 sorry.

24                  CHAIR: No, it's okay.

1                   MR. HARRIS: Okay.

2                   Three sentences.

3                   CHAIR: Yeah.

4                   I mean, I --- like I've said before, I  
5 think it's important that we go over these and we talk  
6 about them. I hadn't really thought about the order as  
7 being over-importance. But of course, the order that  
8 you put them, I'm --- you know, I'm fine with changing  
9 that around.

10                   I don't necessarily want to combine  
11 things though, I think having these --- these four  
12 things are pretty --- are pretty distinct.

13                   Reaching a consensus is --- is its own  
14 --- is its own goal --- is a goal in itself. And it's  
15 going to be, you know, not a --- not an easy one to  
16 achieve, we've got to, you know, come together to be  
17 able to propose something --- proposed revisions that we  
18 --- that we all agree on, so ---.

19                   And also, the --- the fact that they're  
20 reasonable, and --- meaning that they could be --- that  
21 they --- they could be approved, go through the  
22 legislature, and be approved by EPA, and also defensible  
23 to the EPA and to the legislature, I think that is a  
24 good goal in of itself.

1                   What else do we --- what else ---  
2                   comments do we have on --- on that? Can we use both of  
3                   the words?

4                   Yeah, go ahead Ross.

5                   MR. BRITTAIN: Yeah, this is Ross.

6                   I --- I actually like --- personally, I  
7                   think you said it best in terms of making --- keeping it  
8                   approvable and defensible. I think you should change  
9                   that word to an and ---

10                  CHAIR: Okay.

11                  MR. BRITTAIN: --- myself because, you  
12                  know, they need --- they need to be approvable. They  
13                  need to go through the political process --- being able  
14                  to go through the political process. They also need to  
15                  be scientifically defensible. That's one of the main  
16                  things that I'm focused on in that regard, so I --- I  
17                  think that should be an and.

18                  CHAIR: Great. Okay.

19                  MS. ROSSER: I don't think it can't be an  
20                  and, just because those things don't always go hand in  
21                  hand. We --- we can present something defensible that  
22                  would not be approved, or innocent or ---.

23                  MR. BRITTAIN: Yeah, but these --- these  
24                  are goals that are ---.

1                   MS. ROSSER: And I want to see approvable  
2 out. I think this --- this --- this is a --- a  
3 Workgroup that should be making a scientific analysis,  
4 assessments and recommendations independent of political  
5 influence.

6                   CHAIR: But we aren't independent of  
7 political influence, we're all going to be over at the  
8 Legislature in a couple of months politically  
9 influencing and --- and dealing with --- with this.

10                   So we --- we do proposed criteria based  
11 on the best science that we --- the best science, you  
12 know ---. And if we have better science, you know, we  
13 can use it. But ultimately, it has to go through that  
14 body.

15                   MS. ROSSER: I understand that the  
16 answer ---

17                   CHAIR: But that --- that was involved  
18 with ---.

19                   MS. ROSSER: --- that --- that that is  
20 what harms the integrity of that agency, that you all  
21 get the reputation that you are politically influenced.  
22 And we're trying to put a Workgroup out there. And  
23 we're doing this independent analysis coming up with  
24 these recommendations.

1           And yes, I see what you're saying about,  
2 it's part of the process. But again, I think it should  
3 be independently ---

4           CHAIR: Right.

5           MS. ROSSER: --- considered.

6           CHAIR: But it is worth considering that  
7 the way that we got here was through --- going through  
8 legislative process, not having to --- not being able to  
9 come to a --- an agreement on what the standards ought  
10 to be and being put back through this --- this process.

11           And --- and really that's why we  
12 developed this Workgroup so that we can get together and  
13 really all be on the same page at the very least.

14           So I mean, I --- I that it's --- it would  
15 be remiss of us to not admit that the --- it is part of  
16 the process that they have to be approved by the  
17 Legislature.

18           MR. HARRIS: Then why not just say that?  
19 I mean, scientifically defensible standards to present  
20 to the WV legislature and EPA for approval, since  
21 they're the ones that are going to decide , not us.  
22 We're going to ---.

23           CHAIR: Right. Do we have any feedback  
24 --- Scott, do you have any thought on this or Kathy?

1 I think Kathy ---

2 MS. EMERY: What's the ---?

3 CHAIR: --- just joined us.

4 MS. EMERY: Yeah, I just popped in. So  
5 I'm not entirely certain what's on the discussion here.

6 CHAIR: It's the --- the discussion that  
7 we have each time about reasonable standards. We  
8 originally had --- well, we originally had the words  
9 happy medium in here, changed them to --- at one point,  
10 to approvable by West Virginia Legislature and EPA.

11 It was mentioned last time, that the word  
12 defensible might be better used here because it is ---  
13 because what we do is defend our criteria that we've  
14 recommended to Legislature and then we defend them to  
15 EPA.

16 So now we're talking about the use of  
17 these words and what that really means as far as this  
18 body, reviewing these standards all year. And parts of  
19 this --- this body, obviously going to Legislature to  
20 talk about what these criteria are and what they mean.

21 MS. EMERY: Well, the way I would put  
22 this entire Workgroup is, for us to take a few steps  
23 back, look at how these criteria were developed. Is it  
24 scientifically defensible, is there a foundation for the



1 recommendations? Do we agree with what EPA did in their  
2 process or is there more recent science available that  
3 we want to take a look at, that are out of the standards  
4 quality, or maybe the standards will be where they're  
5 at.

6 But the way I look at is, I don't want to  
7 be recommending anything to the legislature that we do  
8 not feel is scientifically defensible. After that, the  
9 Legislature is going to do what the Legislature is going  
10 to do.

11 CHAIR: Thank you. Thanks for that  
12 feedback. That's really helpful coming from you  
13 especially.

14 How about Scott and/or Jason, who are  
15 pretty well-versed in being over there defending and  
16 dealing with these?

17 ATTORNEY WANDLING: Well, I just popped  
18 in. But I mean --- so you're looking for something to  
19 fit in the orange category? What about scientifically  
20 sound?

21 CHAIR: I keep thinking, where am I going  
22 to write this down because everything is all up in ---  
23 in this slideshow, so ---.

24 Hold on a second.

1                   MS. ROSSER: All right.

2                   I'm just advocating for removing  
3                   approvable, because we have no --- how can we be certain  
4                   whether something is going to be approved by the  
5                   Legislature or not? That --- that's --- that's not our  
6                   job.

7                   ATTORNEY WANDLING: And it's an  
8                   unknowable job.

9                   MS. ROSSER: Yeah. I guess that's my  
10                  point. It's like, we can theorize, and make assumptions  
11                  and make calculations on political calculations, but you  
12                  know, things change in a hot minute.

13                  CHAIR: Right. Okay.

14                  So it sounds like we have some more ---  
15                  more folks that are supportive of using defensible, or  
16                  scientifically defensible or scientifically sound, as  
17                  Jason suggested, so we can go with that if we don't have  
18                  any objections to that --- to making that our goal. And  
19                  we might finally have settled on it at that --- at that  
20                  point.

21                  And I don't --- I don't see any problem  
22                  with reordering them either, Larry. Effective could  
23                  very easily just be at the top, because that is the most  
24                  important thing.

1           So if we wanted to talk about consensus  
2 for a moment, which is the bottom goal there. Not ---  
3 not the least important, but ---.

4           MR. MANDIROLA: Can you hear me, Laura?

5           CHAIR: Yes. Go ahead.

6           MR. MANDIROLA: It --- my only comment  
7 is, when we talk about approvable, we're not just  
8 talking about the Legislature, we're also talking about  
9 EPA. And we can put something that we think is  
10 defensible together all we want. But if we know it's  
11 not approvable, what's the point?

12           I mean, I --- I -think what we need to  
13 strive for is something that is both defensible and  
14 approvable. And again, it's not just the Legislature  
15 we're talking about, it's also EPA.

16           CHAIR: Right. I mean, we do have to go  
17 through some pretty major --- two major bodies in order  
18 to actually use criteria.

19           If one --- one of them loves it and EPA  
20 hates it, then it doesn't work --- if the other way  
21 around doesn't work so it never gets to EPA.

22           And --- and that's --- that's why I have  
23 kept that word in here to this point, because I wanted  
24 us to remain cognizant of that, because it is part of

1 the West Virginia process. It's not like that in every  
2 state. But it is like that in our state.

3 MR. MANDIROLA: There are approaches out  
4 there that we can scientifically defend, but that we  
5 know is not acceptable based on EPA protocols or  
6 whatever. So I would just --- I --- I struggle with  
7 taking out approvable. Because I know in the end,  
8 that's really what we're striving for.

9 And again, these are goals we know that  
10 we can strive for them. But we also have to be  
11 realistic enough to know that if --- if the end result  
12 of this process is we understand more and all the groups  
13 are at least on the same page, you know, I --- I think  
14 it's unrealistic to think that we're going to get to a  
15 point of complete consensus. But it's --- that's the  
16 goal.

17 CHAIR: Right. Yes. Yes, goals are what  
18 we strive for, not necessarily what we --- what we  
19 intend that we will absolutely achieve.

20 MS. ROSSER: And I would just say that  
21 --- I mean, there has to be room for disagreement with  
22 EPA. You know, even with EPA, there's a fundamental  
23 disagreement we have with EPA in some fashion.

24 But we --- it's like --- we should bring

1 that up. We shouldn't just concede.

2 CHAIR: All right.

3 MR. MANDIROLA: I agree --- I agree,  
4 that's part of the --- that's part of the working  
5 through towards a goal of approvable. I mean, that's  
6 --- that's my consensus.

7 MR. HARRIS: Hey, it's Larry again.  
8 Years ago I learned from Judge Constance what --- a  
9 pretty good meaning for consensus. And --- and that  
10 works.

11 You talk about all the issues and both  
12 sides of all --- of the --- whatever issue you're trying  
13 to decide. And you come up with something that everyone  
14 can live with. Not necessarily everyone totally agrees  
15 with, but that everyone can live with. And that seems  
16 to be a better --- that seems to be a definition I've  
17 seen work in the past.

18 CHAIR: Thank you, Larry.

19 Okay.

20 So can --- should we move on from here?

21 Okay.

22 So we're not going to go into a --- a  
23 review of our schedule with EPA from last month.

24 Can everybody hear me okay, I changed my

1 audio, so ---?

2 So my question --- my first question to  
3 EPA when we met with them in October was about use of  
4 the KOW for determining bioaccumulations for many of  
5 their criteria.

6 We pointed out that, you know, a majority  
7 of the criteria may end up having to use the KOW. And  
8 we wondered, what's your confidence in that? You know,  
9 does that --- is that --- is using the KOW as protective  
10 or --- or is it produced to protect the standard as it  
11 --- it --- you're able to use a different method?

12 And Colleen Flaherty answered that  
13 question. Also Jamie chimed in whenever --- when ---  
14 when they were answering that question. And she  
15 basically said that she talked about the Agency for  
16 Toxic Substances and Disease Registry. And they used  
17 that preferentially. And then they used the hazards.  
18 Essentially, the same thing. And if they had multiple  
19 KOWs they used to meet.

20 We also followed up talking about KOWs  
21 human health criteria updates. I think there was a  
22 follow-up question about that. And they talked about it  
23 being part of their action plan to looking at developing  
24 KOWs criteria.

1           So I --- I put a link on here to the two  
2 --- the two things that were mentioned by Colleen. So  
3 when you look at these slides again, you can check these  
4 out. That's the Toxic Substances and Disease Registry  
5 and then the Hazardous Substance Data Bank.

6           But basically they --- they felt  
7 confident that using the KOW when you have to when you  
8 don't have a BCF, using the KOW to estimate BAF was ---  
9 is acceptable, of course. Because that was part of  
10 their --- that's part of their --- their flowchart.

11           All right.

12           So then we moved on to talk about using  
13 data from some --- from studies for some chemicals in  
14 particular and not using the same study for other  
15 chemical that were --- that we had researched.

16           And particularly, we were talking about  
17 the Frie --- Frietag. And I --- I remember she said it  
18 a different way, but I don't recall how it was  
19 pronounced. But the 1985 Frietag and Oliver paper.  
20 That was just the main one that we were talking about  
21 there.

22           And actually, Colleen pointed out  
23 something that kind of --- that really, really answered  
24 a lot of questions for me, that they used --- that the

1 Frietag paper specifically --- they didn't use the data  
2 points from that paper, they actually ended up not using  
3 them because --- because they ended up being poor data  
4 points or they were unverified.

5           And that was marked in their spreadsheet,  
6 but we really didn't understand how they were marking  
7 the spreadsheet in that way.

8           So when --- when it appeared they were  
9 using --- that they were using Frietag et al ., or like  
10 these chemicals and they didn't use them for others,  
11 they actually didn't use for any of them because the  
12 data points from that paper ended up not being verified.

13           And I put a --- a --- this isn't a link,  
14 but reference to that paper if you wanted to look it up.  
15 And also a reference to the Environment and Canada that  
16 they didn't use or forgetting --- forgetting all of  
17 these studies. You can check any of those out, too.

18           And if anybody wanted --- is this --- is  
19 this --- these --- and talking about this discussion  
20 that we had with them brings up memories or anything you  
21 want to, you know, talk about, we can go ahead and do  
22 that, too.

23           Okay.

24           So then we moved on to talk about what



1 --- what was EPAs plan to be calculated criteria, are  
2 they going to do this again soon?

3 With --- are they going to do this again  
4 with --- with more recent BAFs or BCF data that may be  
5 out there. And they're --- they're --- as we know, a  
6 little bit --- a lot of the data they used was from  
7 quite a long time ago, before even the year 2000.

8 So basically Colleen also answered this  
9 question, that it took --- took about 15 years for them  
10 to between when they had the methodology and when they  
11 developed these criteria.

12 And it's --- it's likely that next time,  
13 when they go to update the health criteria they'll focus  
14 on the --- the additional --- the ones that they didn't  
15 update in 2015.

16 And we knew it was a long process. And  
17 it was probably not likely that they would look at them  
18 again soon. But I hadn't thought of it that way, that  
19 actually they'd probably look at the criteria that they  
20 didn't update in 2015, before they would ever update  
21 those again.

22 And that's --- I mean, it's just a long  
23 arduous process for them. They have to go through a lot  
24 to revise those. And Colleen did go into that somewhat,

1 too.

2           And again, they used what was available  
3 at that time, the most recent version of the databases.  
4 Because for them, it's not really about, like, if a  
5 paper just came out last year, let's look at that paper,  
6 it's they look at the database.

7           If --- the database does all of that  
8 work, incorporating those papers into the database  
9 vetting them, making sure that the study was done in a  
10 way that confused poor criteria before it would ever be  
11 put into the database.

12           So EPA with their long arduous process  
13 does not also take that on, instead they just go to the  
14 database, look at the most recent version of it and  
15 that's the one --- that is what they use.

16           Okay.

17           So then we moved on with them to talk  
18 about the --- basically, the bottom level of their  
19 decision tree in the framework.

20           It was unclear to us how they moved  
21 through the decisions on that bottom level, we kind of  
22 followed it down and we looked at that decision --- I  
23 --- we looked at the decision tree in the HR meeting.  
24 We're already familiar with it.

1           But when we get down to the bottom level  
2 where they choose between procedure one, or two, or  
3 three or four, it wasn't completely clear when you're  
4 looking at their spreadsheet, how they made a decision  
5 to do this versus that.

6           And Colleen also answered that. She was  
7 --- she was very helpful that --- for that meeting, that  
8 basically that they --- if they --- if it tells them  
9 that they can use a KOW, then they have to use the KOW.  
10 They can't just decide to use a different procedure if  
11 that's what --- what it leads to or the decision tree.

12           Jennie also noted that it really isn't  
13 very clear on the spreadsheet. And it would be helpful  
14 if they could add a column that shows what procedure  
15 they actually used. Because you kind of have to figure  
16 that out based on the numbers that you see there in  
17 their decision. So she would --- she said she would  
18 look into whether that can be added to it.

19           So if --- if that would help a lot, it  
20 would make it clearer for everyone who was --- was  
21 looking for that information, for them to just say  
22 outright, we used procedure one. We're over it. You  
23 know, it would be --- it would be much simpler if --- if  
24 it was shown that way.

1           So then we got into additional questions  
2 with them, so I just really summarized this short ---  
3 quickly on --- I have a couple slides with them. We  
4 asked about, are there any other states like West  
5 Virginia or Delaware that are looking into more detail  
6 on the other criteria.

7           And they talked about how Florida had to  
8 adjust their bioaccumulation factors a few years ago.  
9 They were held up with litigation and they're not  
10 pursuing that anymore.

11           But as --- as far as Delaware goes, I'm  
12 still unsure whether they have been out to comment yet  
13 with their BAFs. And that's something that we can  
14 hopefully talk about soon once we --- once we get to see  
15 them.

16           And we also asked how does EPA account  
17 for accumulative impact of compounds. And that was  
18 something that Ross had brought up.

19           Generally --- and I think we kind of knew  
20 they used a hazard portion of one. Basically, meaning  
21 that they don't --- they don't do any additional ---  
22 they don't incorporate additional factors based on  
23 cumulative effects.

24           But for noncarcinogens source, they don't

1 --- they do use the relative source contribution, which  
2 takes the value and --- and ratchets it down based on  
3 where you would expect how --- how much exposure you  
4 would expect for --- from that chemical from water as  
5 opposed to other sources.

6 I think that would --- that was probably  
7 something they also put --- they also said they can  
8 answer better later on, if they had more time to look  
9 into it.

10 But I think what we have learned from  
11 their criteria documents, is that generally there is an  
12 additional factor for cumulative impacts, but there are  
13 several factors in there, like the relative resource  
14 contribution, and like the ten to minus six risk factor  
15 that really incorporate a lot of protectiveness into the  
16 criteria to try to --- to try to make up --- to try to  
17 account for that.

18 I was also asked if EPA recommends using  
19 ten to minus five or ten to minus six or some other risk  
20 factor level. And I think by this point, Colleen wasn't  
21 there are anymore and Erica was answering our questions.  
22 And EPA does use ten to minus six in their calculations.

23 But their guidance is clear, that states  
24 can use the risk factor that they choose. And in some

1 high --- populations that have a greater risk, like  
2 maybe they are subsistence fisherman or something. But  
3 they want to make sure that their risk is no greater  
4 than ten to minus four. But generally as we know,  
5 states in our vicinity either ten to minus six or ten to  
6 minus five, which makes the criteria an order of  
7 magnitude less stringent. And we use ten to minus six.

8                   Okay.

9                   So we also asked about bioaccumulation in  
10 human tissue in regards to body weight. And we know  
11 West Virginians generally have higher body weight than  
12 the average population of the country.

13                   And I think John answered that one. And  
14 just in a general --- I mean, just to summarize, a  
15 larger body weight, if it would be --- were to be used,  
16 would result in less stringent criteria because it would  
17 be a --- it's --- the 80 kilograms is into the top of  
18 the --- the equation. So it --- if --- if you pick out  
19 here, it would make the criteria less stringent.

20                   But that is not something that they take  
21 into --- into consideration. Because when we're talking  
22 about bioaccumulation in regards to criteria, they're  
23 usually talking about cumulating in whatever --- from  
24 fish to tripping level 1, to 2, to 3, to 4.

1           And again, we generally --- I mean, we  
2 quickly talked about, again, that we don't have any  
3 study that's specified to West Virginians that said ---  
4 that says what our average body weight is. We know we  
5 generally have obesity problem in general in the state,  
6 but we don't have data that says that --- that we  
7 specifically studied body weights of West Virginians.

8           Okay.

9           MR. HARRIS: Question here ---

10          CHAIR: Go ahead, Larry.

11          MR. HARRIS: --- this is Larry.

12           I'm --- I understand --- I mean, the way  
13 it sounds is that if we accept the fact that West  
14 Virginians have higher body weights, that we will then  
15 suggest less stringent criteria. I mean, that --- that  
16 to mean is slender shaming, that's not fat shaming.

17          CHAIR: Yeah, that would be good.

18          MR. HARRIS: I mean, I don't know how ---  
19 I don't know how to react to this kind of idea. But it  
20 seems silly, but ---.

21          CHAIR: Right.

22          MR. BRITTAIN: Larry, that's one --- I'm  
23 going to say, Larry, this --- that's one of the  
24 questions that I ---. The reason I asked the question

1 was --- about body cumulation, was specifically because  
2 what it doesn't account for is the --- is whether or not  
3 --- how lipophobic or lipophilic a chemical is.

4 MR. HARRIS: Right.

5 MR. BRITTAIN: If a chemical likes to ---  
6 if it's lipophilic and wants to attach to fats, the  
7 heavier body weight is actually going to make you more  
8 --- you --- you --- put you at a higher risk to where  
9 you should have more stringent ---

10 MR. HARRIS: Right.

11 MR. BRITTAIN: --- criteria.

12 Whereas if it's lipophobic, the --- the  
13 fat is actually going to help you keep it --- help keep  
14 it --- after the weight is distributed, so ---.

15 So that's one of the things, that as ---  
16 when EPA changed their body weight a few years ago,  
17 that's one of things that I was disappointed in, that  
18 they didn't account for, is like ---.

19 That they --- they change the body weight  
20 based on --- based on the fact that Americans in general  
21 were becoming heavier, fatter. But they didn't account  
22 for how lipophobic or lipophilic, account --- the  
23 compounds are. Something I would like to see change  
24 some day in the future, but that will be down the line.



1           CHAIR: Yeah, that would probably more  
2 than 15 years, since they don't have a methodology that  
3 accounts the fat.

4           They --- what they do is, go with their  
5 methodology. It doesn't have something in it that would  
6 account for whether a chemical accumulates in human  
7 tissue greater in some people than others. Instead,  
8 they only say this is the average body weight.

9           Like I said, it's on the top of the  
10 equation. So as it goes up, the equation --- the ---  
11 the result would go down. I mean, it wouldn't go up.

12           So again, ---.

13           MR. BRITTAIN: I should also mention ---  
14 I should ---

15           CHAIR: Go ahead.

16           MR. BRITTAIN: --- excuse me, Laura.  
17 Sorry.

18           I should also mention, that only accounts  
19 for ingestion.

20           Right?

21           That's your RFD or your CSF, your cancer  
22 slope factor. For inhalation, they don't account for  
23 that. It's not --- it's not on a --- on a per body  
24 weight mass --- basis.

1           So for inhalation exposures --- which of  
2 course this particular methodology doesn't account for  
3 inhalation. But for other aspects of risk in  
4 remediation --- in the remediation world, when we do  
5 account for inhalation, body weight is a matter that  
6 can ---.

7           CHAIR: Right.

8           MR. BRITTAIN: So that's one of the  
9 issues with not properly accounting for inhalation in  
10 the overall equation that could --- it could have an  
11 impact.

12          CHAIR: Right. Yes, inhalation is not  
13 something that's taken into consideration of water  
14 quality criteria.

15           I guess that --- again, the criteria are  
16 for consumption of fish, and consumption of fish and  
17 water together. Doesn't --- doesn't include any  
18 inhalation that might occur.

19           And relative source contribution for  
20 noncarcinogens --- noncarcinogens also takes that ---  
21 takes that into account, because they assume that you're  
22 going to be exposed to this chemical also from a ---  
23 from inhalation from other sources, sources not related  
24 to water. So that's the relative source contribution

1 factor in there.

2 MR. BRITTAIN: Yeah. And --- and when it  
3 comes to inhalation with water, the only things we have  
4 to worry about, inhalation with water and the volatiles  
5 is when you're showering.

6 So you will be exposed to inhalation from  
7 the surface water. Something to keep in mind. You will  
8 be exposed to inhalation. But only for the volatiles  
9 when you're showering, ---

10 CHAIR: Right.

11 MR. BRITTAIN: --- so ---.

12 CHAIR: And --- and when --- when we use  
13 a relative source contribution of .2, we're saying that  
14 80 percent of your exposure to that chemical probably  
15 comes from other sources, including the shower.

16 Okay.

17 So moving onto the next slide.

18 MR. MANDIROLA: Real quick, Laura.

19 To make it clear, the body weight issue,  
20 we're using the national average.

21 Right?

22 We're not coming --- it was mentioned in  
23 the conversation I thought, that --- that we're  
24 accepting that West Virginians are heavier. But it's

1 not actually just West Virginians, it's --- it's the  
2 national average.

3 Correct?

4 CHAIR: Yes, we are --- we are using the  
5 national average of 80 kilograms. We don't have ---

6 MR. MANDIROLA: Okay.

7 CHAIR: --- any data that shows  
8 specifically that West Virginians have a specific  
9 average that's other than 80 kilograms. I don't  
10 know ---.

11 MR. MANDIROLA: Right. No, I understand  
12 that.

13 CHAIR: Okay.

14 MR. MANDIROLA: I just want to make it  
15 clear, that we're not --- we're not proposing to --- to  
16 use something different, we're --- we're proposing to  
17 use the national average.

18 CHAIR: Right. Thank you.

19 MR. MANDIROLA: Okay. Thanks.

20 CHAIR: Yeah. So we also asked about  
21 accounting --- do we account for children in exposure  
22 factors?

23 And John answered this as well. I can't  
24 remember John's last name right now, I didn't write it

1 down, on this slide. But he mentioned that there were  
2 other tables in the exposures factor --- Exposure  
3 Factors Handbook, which Ross showed us a few --- a few  
4 meetings ago.

5 We did talk in detail about the fact that  
6 EPA uses adults. You know, that's --- that's ----  
7 that's just what the criteria are based upon.

8 So, you know, states could look at the  
9 other factors or tables in handbook, and decide whether  
10 to use those. But generally these criteria are  
11 calculated for adults.

12 And again, they're calculated to be  
13 protective over a seven-year life --- life span. So  
14 first, that --- I mean, children are --- they're just  
15 --- it's just not calculated that EPA meets the  
16 criteria. And we also asked about immunogenic compounds  
17 exposure factors.

18 Erica said she would need to ask Colleen  
19 about that. And we talked about --- we --- we looked  
20 --- when we looked into a specific criteria document, we  
21 --- we did find that some criteria documents, they  
22 mentioned that a --- a compound would be considered  
23 immunogen. What they've done is to take that into  
24 consideration.

1           But generally, it's not looked at the  
2 same way that it's looked at in in-house. They ---  
3 there isn't a special immunogenic exposure factor.

4           But again, there are many other  
5 protective measures that are put into our product  
6 criteria to try to account for things that aren't ---  
7 that aren't specifically addressed, like immunogens and  
8 combining different chemicals together.

9           Okay.

10           So the other thing is, how is EPA  
11 addressing recommended criteria that are above MCLs.  
12 That was a question that we had this summer in our  
13 comments.

14           That's my dog yawning over there.

15           It's --- we had a question come up this  
16 summer --- and we checked with EPA then, and their  
17 answer isn't any different than it was then, that  
18 basically EPA calculates their criteria regardless of  
19 what the MCLs are. And --- and a few of them did end up  
20 being less stringent than its --- than current MCLs.

21           Periodically, the Safety Drinking Water  
22 Act, EPA folks will review their MCLs. I believe they  
23 said they --- they may do it every five or even six  
24 years, it seems like. But they weren't sure when ---

1 when that was going to happen.

2 And when it does --- when they do review  
3 it, they aren't --- they aren't sure whether they ---  
4 the MCLs would change based on the water quality  
5 criteria changing.

6 But they do --- EPA does make it clear on  
7 their website. And I --- I think Erica stated this,  
8 that sometimes the criteria are going to be higher than  
9 MCLs. They need to be linked to an MCL right there in  
10 there --- on their page so that you can check that.

11 But generally, these --- these criteria  
12 are calculated, as you guys know, based on the available  
13 science and based on the methodology. And if they end  
14 up being different than MCLs, that's --- that's just the  
15 --- the way that they are, because they're calculated,  
16 you know, given all the information that is taken into  
17 consideration.

18 So the MCLs may be changed to --- up to  
19 --- to match criteria, they may not. We don't really  
20 --- really know what --- what they're going to do.

21 MS. ROSSER: I have written down in my  
22 notes, too, that they would allow states to default to  
23 the MCL if that was safer criteria.

24 CHAIR: Right. I --- I --- yes, I think

1 Erica did say that, that if states wanted to use the MCL  
2 instead of --- instead of a less stringent criteria,  
3 that they would --- they would be okay with that.

4 So we also have ---.

5 MR. MANDIROLA: Also in some cases --- in  
6 some cases, states have changed their work only standard  
7 to the MCLs. And not always more stringent, sometimes  
8 it's less. We've got approval to do that on some of  
9 ours ---

10 CHAIR: Okay.

11 MR. MANDIROLA: --- if I'm not mistaken.  
12 The Benzene might be one of them, where the actual  
13 carcinogen water quality standards are lower than the  
14 MCL. We've got to water quality standard at the MCL, I  
15 believe.

16 CHAIR: Okay.

17 So let me do it both ways.

18 Okay.

19 So we also asked how many of those states  
20 rely solely on EPA's recommendations. You know, we know  
21 West Virginia is looking into these criteria. You know,  
22 that Delaware is looking to calculate bioaccumulation  
23 factors. And the question was just generally, do --- do  
24 other states do this there.



1           Their response is mostly, that most  
2 states do adopt the criteria as recommended. But some  
3 adjustments occur. And again, there are some states  
4 that have different populations, like indigenous  
5 populations that rely on fishing or some estimates.

6           There are lots of different factors in  
7 other states that when it happened, looked at criteria  
8 different or calculated it differently. But generally,  
9 they --- most states are adopting the criteria as  
10 recommended.

11           I think Chris has --- I know Chris has  
12 looked into each --- each state, and has a --- a list of  
13 all the states, and which ones have adopted criteria and  
14 which ones have used ten to minus five risk factor and  
15 --- and what --- what --- what else that they've dealt  
16 with --- 2015 criteria.

17           MR. BRITTAIN: Hey, Laura, ---

18           CHAIR: Yes.

19           MR. BRITTAIN: --- just --- sorry to go  
20 back just a little bit. There's one thing I want to let  
21 people know about when it comes to that immunogenic  
22 compounds and exposure factors.

23           I mean, anytime we were doing a review of  
24 a chemical, and it says it's mutagenic, the correction

1 for that, it's --- it's a simple factor. The correction  
2 for mutagenic mode of action for the carcinogenicity is  
3 simply divide the --- in this case, divide your  
4 standard, your criteria by 3.1. That's all that they  
5 had --- they needed to do to account for mutagenics.

6 That's what --- that's what I'm going to  
7 be looking for, is that they accounted for it that way.  
8 And --- and just want to let everybody else know that so  
9 they can be looking for it to.

10 CHAIR: Okay.

11 MR. MANDIROLA: What's the 3.1?

12 MR. BRITTAIN: It's because they adjust  
13 the age that ---. Because with --- with mutagenic ---  
14 or we're talking --- that is for younger kids, they have  
15 a higher rate of toxicity --- toxicity response --- dose  
16 response than do adults.

17 So for young kids, now ages zero to six,  
18 they get a factor of --- excuse me, zero to two, they  
19 get a factor of ten applied to it --- to that toxicity  
20 value, the same cancer slope that we --- that you have.  
21 You make it ten times more stringent. And then from 2  
22 to age of 16, you get a --- a multiplier of three.

23 So you adjust the age for the adult ---  
24 an adult life expectancy of 70 years, and it ends up

1 being 3.1 over the --- over the life of the person,  
2 so ---.

3 MR. MANDIROLA: Sorry, I was asking ---  
4 okay. I --- I was worried, it had to do with thinking  
5 that some mutagenic compounds are not carcinogenic, but  
6 actually ---

7 MR. BRITTAIN: They are. Yeah, they're  
8 all ---

9 MR. MANDIROLA: Yeah.

10 MR. BRITTAIN: --- carcinogenic.

11 MR. MANDIROLA: Yeah. Okay. All right.  
12 Thank you.

13 MR. BRITTAIN: This is just the motive  
14 carcinogenicity, yes.

15 MR. MANDIROLA: Yeah, yeah, I got it.  
16 Thank you.

17 MR. BRITTAIN: Uh-huh (yes).

18 CHAIR: Okay. Thanks, Ross.

19 MR. BRITTAIN: Uh-huh (yes).

20 CHAIR: Okay.

21 So our final slide of our review of the  
22 discussion with EPA, there's a couple of questions on  
23 it. We talked about more stringent versus less  
24 stringent criteria, and EPAs view on whether that can be

1 a factor or should be a factor in adoption of criteria.

2 EPA followed --- EPA --- well, Erica  
3 answered this question, and said that they followed the  
4 signs analyzing criteria. And of course, the states can  
5 adopt criteria that are either --- either more or less  
6 stringent, as long as they're scientifically defensible,  
7 that --- you know, that's up to the states.

8 And this --- this was just brought up  
9 because it was --- it has been suggested that we can  
10 only adopt criteria that are more --- that are more  
11 stringent.

12 As far as --- Erica mentioned something  
13 about, they don't --- that ---. She --- she mentioned  
14 --- she mentioned backsliding. I'm wondering if that  
15 was a --- a --- a factor in any of this.

16 Generally, when EPA updates criteria,  
17 they're based on the --- the most recent science, and  
18 whether they become more or less stringent. It --- to  
19 them, it doesn't --- it --- it doesn't matter if it's  
20 their new criteria and it's based on what --- what we  
21 know about the --- about the compounds.

22 So we also talked about how EPAs  
23 responding to states who aren't adopting all of the 94  
24 criteria or don't even --- or don't currently have all

1 94 criteria in their standards, like West Virginia.

2           They talked about --- Erica talked about  
3 priority pollutants, and she said that they may ask  
4 states why they do not adopt very many criteria. And  
5 that they have the authority to determine if a criteria  
6 is necessary for a state, they need to make sure that  
7 it's protecting --- the designated uses are protected.

8           So if there's some reason to believe that  
9 the designated uses are not being protected, that they  
10 can suggest that the state adopt a certain criteria.

11           And we're going to talk more about  
12 priority pollutants, because --- because that was  
13 brought up in that meeting, and --- and it was something  
14 at the end of our last meeting that Angie asked that we  
15 go into a little more. So that's what we're going to  
16 talk about next.

17           But I did want to mention, that in our  
18 revisions that we proposed this year, EPA did comment,  
19 of course, on our --- our proposed criteria, which we  
20 adopted --- I believe we adopted 24 --- or we're  
21 adopting --- proposing to adopt 24 water quality  
22 criteria that --- that the EPA recommend we join 15.

23           And they commented this summer on our  
24 proposal. And they didn't --- they didn't ask us to

1 adopt more than 24, we --- we have recommended they ---  
2 they don't --- they're --- they're not proposing that  
3 --- they did not specifically say West Virginia should  
4 adopt the rest of the criteria, so ---.

5 I thought that was important to note,  
6 that we did have that public comment process in the  
7 summer on those 24. EPA did not ask us to --- to adopt  
8 additional criteria.

9 MR. BRITTAIN: Did they give --- just out  
10 of curiosity, Laura, did they give a reason, just  
11 because it's a recognition that take --- took them 15  
12 years to come up with that with --- with all of those  
13 criteria than just say buying us time to go through the  
14 others? Is that what they're ---?

15 CHAIR: No, they said --- they said West  
16 Virginia is proposing to adopt provisions of 24 water  
17 quality criteria for the protection of human health.  
18 The revisions are consistent with the Clean Water Act  
19 304(a) recommending criteria. And we have no further  
20 comment.

21 I'm sorry, go ahead.

22 MS. ROSSER: They made --- they made the  
23 comment in the past. I think the last proposal they ---  
24 they did want to hear more explanation of why --- I

1 think when --- when DEP proposed in six, why the rest  
2 were not adopted.

3 But Laura, I have --- I have a question  
4 and then a comment. I have a question on EPA's mention  
5 of a region four state that did go with --- go the route  
6 that West Virginia recommended to just adopt updates  
7 that are more stringent.

8 Did it --- was anyone able to identify  
9 what state that was?

10 CHAIR: I do not know what state that  
11 was. I don't know which one it was.

12 MS. ROSSER: Okay.

13 MR. BRITTAIN: It could have been Florida  
14 with their BAF issue that's in litigation right now.  
15 That's --- that should be reinforced. But I don't know  
16 that for certain.

17 MR. MANDIROLA: Oregon also had fish  
18 consumption issues, they adopted higher fish consumption  
19 rates, which make for --- for more stringent standards.

20 CHAIR: All right.

21 And Washington as well. They have a very  
22 high fish consumption rate.

23 MR. MANDIROLA: That's correct.

24 CHAIR: But they did allow them to use a

1 relative source contribution for their noncarcinogens of  
2 one. So while they have a very high fish consumption  
3 rate, they aren't --- assuming their carcinogens, any of  
4 their --- any of their consumption comes from other  
5 sources.

6 Although, I don't --- I don't know which  
7 region or state that was, Angie.

8 MS. ROSSER: Yeah, yeah. So that might  
9 be a follow-up question we would have for them.

10 Have you thought through how you would  
11 like to channel any additional questions to them that  
12 come up?

13 CHAIR: I'd like to send them an e-mail  
14 of additional questions. But I don't believe that we  
15 really articulated those at this point. We had a few  
16 that were mentioned in passing like --- you know, you  
17 could ask that and we could get back to you. But I  
18 haven't made a list of those questions to send to them.  
19 But we can do that next.

20 MS. ROSSER: I have just a comment. I  
21 mean, from a --- a --- from a citizen who drinks the  
22 water, eats fish, I mean, it's pretty troubling to hear  
23 how slow EPA is moving on this, is how limited.

24 CHAIR: Okay.



1                   MS. ROSSER: I mean, I just --- I take it  
2 as a resource allegation issue of why this is so slow.  
3 And some of the --- the ---. I mean, it was pretty  
4 disappointing just to hear, you know, how the --- the  
5 limitations of access to newer science they have, and  
6 said it might be another 15 years.

7                   I mean --- so that's --- that's like  
8 another --- I mean, that's --- that's a reality. But  
9 it's a reality I hope --- I hope will change and that  
10 our group will probably advocate for in terms of sources  
11 at the federal level being deployed to this just  
12 because, you know, we don't have them at the state  
13 level.

14                   I mean --- you know, the other side of  
15 this is just, you know, I --- from our perspective we  
16 can't support any further delays.

17                   Okay?

18                   And --- and we have to go forward with  
19 the best we have now. It's just unthinkable to --- to  
20 delay, to wait another 15 years and --- and to --- to  
21 kind of give that reality check that it could be years  
22 and years, I --- I --- who knows if --- if that database  
23 will update or, you know ---.

24                   Anyway, I just wanted to put that out

1     there, that, you know, we remain committed to --- to  
2     pushing forward with updates now, and continuing to come  
3     back and visit these criteria as the newer data and  
4     science becomes available, but not just to do nothing in  
5     the meantime.

6                     CHAIR:    Okay.

7                     MR. BRITAIN:  I totally agree with you  
8     on that, Angie.

9                     CHAIR:  Along those lines, Angie, based  
10    on the review that we've done to this point and looking  
11    into the science that's behind these, do you feel any  
12    closer to being able to support the revision of criteria  
13    that become less stringent along with the criteria to  
14    become more stringent since they all went through the  
15    same process?

16                    MS. ROSSER:  No, I --- you know, as I  
17    said before from the beginning of this, I mean, our  
18    members have --- we strongly --- their --- their desire  
19    from a policy standpoint, that we do not make any ---  
20    this criteria less stringent.

21                    So I --- I understand there's a science  
22    question and then there's a policy question.  And in  
23    terms of the policy question, I don't see our --- our  
24    position being --- changing from reporting only adoption

1 of this that --- that would be more protective and not  
2 going backwards, especially considering ---.

3 I mean, it's a hard people --- it's a  
4 hard argument to sell that we should be --- like if this  
5 --- it's industrial --- if --- if this charge is  
6 permitting --- are --- are complying with current  
7 standards, why would we relax them if they're able to do  
8 that now?

9 It just --- because the thought, you  
10 know, when --- when people start thinking about  
11 relaxing, or removing treatment systems, or board toxins  
12 and looking at what --- you know, having the third  
13 highest cancer death rate in the nation, why would we  
14 increase risk?

15 We can't --- that --- we're --- we --- we  
16 won't get any buy-in from that, from a policy decision  
17 standpoint from our members.

18 CHAIR: Scott, could you give us any  
19 feedback? I'm --- I'm not as familiar with permitting  
20 as you are.

21 But can you give us some idea of --- of  
22 what ---? Is there a possibility of that, when criteria  
23 changed, that even if a --- a permittee can meet  
24 criteria now --- can meet limits now, that their limits

1 would change?

2 MR. MANDIROLA: Can you hear me?

3 CHAIR: Yes.

4 MR. MANDIROLA: Okay.

5 In most cases where you're talking about  
6 a missing zone --- and most of these types of chemicals,  
7 you are talking about a mixing zone because you're  
8 talking about larger industries typically with taking  
9 out a bigger risk. So our policy has been ---. And ---  
10 and, you know, Kathy can probably answer this just as  
11 well. But our policy has been that you get the mixing  
12 that you're --- that you need.

13 Okay?

14 So if you got a limit you're already  
15 meeting with a mixing level that you've already got or  
16 mixing zone you've already got, it's unlikely you're  
17 going to get relaxation based on the fact that you're  
18 already meeting a limit. What would likely happen is,  
19 your mixing zone would be shrunk.

20 Okay?

21 Your limit would be higher, but not your  
22 actual discharge limit. Does that make sense?

23 The limit you would have in your permit  
24 would be --- would be higher, but the substance --- the

1 --- the dilution would change in your mixing zone. So  
2 what you would be allowed to discharge is --- would be  
3 basically the same.

4 Does that make sense?

5 CHAIR: Because --- because the mixing  
6 zone allows it to --- I think the --- the longer that  
7 it's going high --- so the mixing ---?

8 MR. MANDIROLA: Yeah. Say there's a  
9 hundred dilutions available --- say there's a hundred  
10 dilutions available, you only need ten.

11 Okay?

12 You get ten dilutions. So your end of  
13 pipe limit is what it is. But if that all changes, then  
14 likely what would happen is, you still --- your dilution  
15 may still be --- or the potential dilutions may still be  
16 a hundred, but you may not need ten anymore, you may  
17 only need two dilutions. So the --- what you actually  
18 allowed discharge out your pipe would be essentially the  
19 same.

20 Does that make sense?

21 CHAIR: Yeah. And I do ---.

22 MR. MANDIROLA: Okay.

23 Do you understand what I'm saying? Does  
24 that make --- Kathy, was that clear enough, do you

1 think?

2 CHAIR: All right.

3 I think you meant to get off mute.

4 MS. EMERY: Oh, I'm wondering if --- EPA  
5 is --- I heard you say no. Is it the understanding of  
6 the mixing zone process.

7 MS. ROSSER: Yes. I mean, I --- I think  
8 I heard what Scott is saying, is the mixing zone becomes  
9 smaller. And --- and why would that be? Why ---  
10 why ---?

11 And --- and it's really common --- I  
12 mean, we put mixing zones into the mix, the water  
13 quality standards, it --- it, like, makes my head want  
14 to explode. Because we're talking about not having  
15 water quality standards, because we have 16 ---.

16 CHAIR: Well, I don't want to go down  
17 that route at all with the ---.

18 MR. MANDIROLA: We're not talking ---  
19 right. We're not talking about water quality standards.  
20 She asked about permitting.

21 MS. ROSSER: Right.

22 What's the difference?

23 MR. MANDIROLA: The --- The water quality  
24 standard is what's used to developed your permit limit.

1 Mixing zones are part of that as well.

2 Okay?

3 So the water quality standard may --- may  
4 tighten or loosen. That may affect how we permit based  
5 on mixing zones. You may get more mixing or less  
6 mixing, depending on what you need.

7 Some states and the policy grant the  
8 maximum amount of mixing available to --- for  
9 discharging. Regardless of what their discharge ---  
10 what they're able to limit their outlet discharge to, we  
11 had not known that in the past. We do not give  
12 unlimited mixing of whatever is available. We give you  
13 enough dilution so that you can meet your discharge  
14 limit.

15 So if there's a hundred dilutions  
16 available but you only need ten, and your outlet in  
17 order to meet based on what you're currently  
18 discharging, that's what you get.

19 MS. ROSSER: Well, then why --- if it's  
20 --- then would that be the case, that --- lower  
21 stringent as well, it's not going to make a difference  
22 to permitting?

23 MR. MANDIROLA: Say that again, that  
24 wasn't --- I wasn't --- I didn't understand that.

1                   MS. ROSSER:  If --- if a --- if a human  
2 health criteria becomes more stringent and --- and the  
3 permit holder has a mixing zone, that's not --- you're  
4 going to say that's not going to make a difference here?

5                   MR. MANDIROLA:  No, it becomes more  
6 stringent.  It depends how much --- how many dilutions  
7 are available.  If they're already at the maximum amount  
8 of dilution and it becomes more stringent, then they're  
9 going to have to put controls in to reduce the amount.

10                   If --- if there is additional dilutions  
11 available, then they may be able to get additional  
12 dilutions up to the amount --- the number of dilutions  
13 that are available based on the mixing zone regulations  
14 that are in the water quality standards.  There are  
15 limits on how much dilution you can get.  It's based on  
16 width, depth, type of discharge, whether it's bad  
17 discharge or --- or defuse.

18                   MS. ROSSER:  Yeah.  Okay.

19                   Well --- you know, I read --- I --- I  
20 brought this up in the past meeting.  And I --- it  
21 sounds like it's going to be very individualized.

22                   But it would be great to have specific  
23 information on what are we talking about, what is the  
24 --- the impact to two permits that are regulated to the



1 dates from a financial standpoint to understand that.

2 I think that goes for reasonable criteria  
3 that we're trying to find. And --- and I believe --- I  
4 don't know if it was --- we didn't explain to --- to the  
5 public, but --- but it's hard to explain. There are  
6 more toxins ---

7 MR. MANDIROLA: Well, you're correct.

8 MS. ROSSER: --- to outline.

9 MR. MANDIROLA: You're --- you're  
10 correct. You could ---

11 MS. ROSSER: It's ---.

12 MR. MANDIROLA: --- you could very ---  
13 it's --- it's going to be very individualized. There's  
14 not going to be a generic answer. Because every permit,  
15 particularly in larger rivers, every permit has  
16 different potential dilutions. It depends on the single  
17 capacity for the particular compound they're looking for  
18 in the river. And it also depends on what the amount is  
19 in the discharge.

20 So it --- it could be very, very  
21 individualized answers per discharge. There's ---  
22 there's --- there's not going to be one generic answer  
23 for everybody.

24 MS. ROSSER: And am I hearing the

1 contact, that you believe a hundred percent of --- of  
2 permits that have limits --- have human limits --- have  
3 human health criteria, would --- would also be --- would  
4 also have mixing zones? Are there --- would there be  
5 scenarios that we're not talking about a mixing zone?

6 MR. MANDIROLA: Yeah, it depends if they  
7 need it or not. I mean, they --- they typically have to  
8 ask for a mixing zone if they want one. And if ---

9 MS. EMERY: The point is ---.

10 MR. MANDIROLA: --- their discharge ---.

11 MS. EMERY: Our permitting staff, like I  
12 said, it's very individualized. They're going to go  
13 permit by permit. There's not one wholesale answer  
14 across the Board.

15 MS. ROSSER: Right. So they --- so it  
16 could be a scenario where they don't have a mixing zone  
17 now, but if a --- a criteria got more stringent, then  
18 they --- they might want to ---.

19 MR. MANDIROLA: That is --- that's  
20 correct. And they might have a --- you know, for the  
21 Ohio River, they may have a --- you know, basically the  
22 general mixing zone, which is, it's assuming that  
23 everybody can get a mixing zone of this and this. You  
24 know, I think it's ten and three.

1           But you can get much more if you want to  
2 get an individual mixing zone, but you have to do it at  
3 least a brief study to --- to show that you're meeting  
4 it. Some people do that, some people don't. If they  
5 don't meet it, then they can get the general mixing.  
6 But if they're having trouble meeting it, then they  
7 would go get and a more specific mixing zone. So  
8 there's all different variety of this. So it is going  
9 to be very specific to the discharge.

10           CHAIR: And each one of those individual  
11 permits goes through its own public comment process,  
12 separate from everything having ---

13           MR. MANDIROLA: That's correct.

14           CHAIR: --- its own water quality  
15 standards.

16           MS. ROSSER: Yes.

17           CHAIR: So everybody is talking about  
18 those as well, which is why I'm always trying to parse  
19 down and say, let's just --- I mean, when --- when we're  
20 talking about water quality standards, it's good to  
21 focus on what water quality standards are, what they do,  
22 what they don't do. And they don't categorically change  
23 every permit like immediately when they change. And  
24 that's why we're going in to talking about the science

1 that standards are based on.

2 I mean, even as far as MCL, sometimes  
3 standards can be higher than an MCL. And you know that  
4 seems silly at the outset. But you know, it's because  
5 of the way they're --- they're derived. We've gone into  
6 how they're derived. They don't always necessarily  
7 change a permit. And they definitely don't change a  
8 permit right away. And they definitely don't change a  
9 permit without going through an entire review process.  
10 Public comment tells us that.

11 So we're not going to solve the problem  
12 of --- of permitting for every --- every permittee in  
13 this forum, because we just can't do that.

14 MR. HARRIS: I hate to ask a stupid  
15 question, but we're --- we're in an era of high water  
16 from floods, and low water from droughts and ---.

17 Does the level of the rivers and the  
18 volume of the rivers enter into these permits so that a  
19 --- polluters can put more in a high water and less in a  
20 low water?

21 MR. MANDIROLA: Only if they have a  
22 site-specific --- you can get a permit that would do  
23 that.

24 Okay?

1           That's the exception, not the rule.

2           Okay?

3           Generally, for human health carcinogens  
4 7210 is what's --- I'm sorry, line B, as they flow. For  
5 aquatic life criteria 7210 is used.

6           You can get realtime water quality  
7 limits. But in order to do that, you have to have very  
8 specific flow measurements of your discharge and then of  
9 the river levels. There are some that have those  
10 permits.

11           So above a certain water level, they ---  
12 and --- and below a certain discharge level, they have  
13 higher limits because there's more dilution. But they  
14 have to monitor that continuously in order to get that.

15           Generally, they don't do that so they  
16 have to be cautious for aquatic life on 7210. For  
17 carcinogens, it's based on the --- possibly because it's  
18 based on long-term averages.

19           MS. ROSSER: Yeah.

20           So harmonic mean is the average over all  
21 --- basically all of the time that we've been collecting  
22 data on it with water. And so it doesn't change  
23 quickly. We've got --- we might have a flood year or  
24 drought year, where the harmonic mean is --- is going to

1 stay the same the whole time because it's over a long  
2 period of history.

3 CHAIR: All right. Thank you so much  
4 Scott, and Angie, and Kathy and Larry for speaking up  
5 and having that conversation. Because I think that is  
6 really valuable to talk about what these criteria can  
7 and can't automatically do.

8 So we're going to move on to talk about  
9 priority pollutants. Again, Erica mentioned priority  
10 pollutants in answering a question at our meeting last  
11 month. So we're going to talk about what they are.

12 Basically, the priority pollutant list  
13 was developed after the toxic pollutant list. Toxic  
14 pollutant list came first. And then later, they added  
15 --- they used that list to come --- come up with the  
16 priority list.

17 And a list was intended to be used by EPA  
18 and states as a starting point to ensure that affluent  
19 guidelines, regulations --- affluent guidelines and  
20 regulations, water quality criteria and permit  
21 requirements address the problems of toxics in the  
22 waterway.

23 So it's the beginning --- the beginning  
24 list of how --- how we would regulate toxins in the

1 water back in the '70s.

2           They used --- back then when they made  
3 this list, they used the word criteria to select and  
4 prioritize these pollutants. And you can read those  
5 criteria there. That's --- that's just how they come up  
6 with the list. I put a link here to where this  
7 information came from the priority pollutants on the  
8 toxic and priority pollutants on the Clean Water Act  
9 page, EPA's website.

10           And when we were talking about EPA, Erica  
11 mentioned priority pollutants. And she said that states  
12 --- EPA can ask states for an explanation as to why they  
13 haven't adopted certain pollutants --- pollutants and  
14 standards. That's why we're talking about them today.

15           So it's important --- and also they note  
16 on --- EPA notes on their --- on this website, that part  
17 --- parts of the priority pollutant list are outdated.  
18 It contains pesticides that are no longer used in the  
19 U.S. And so it contains contaminants that are very  
20 unlikely to continue to be discharged in surface water,  
21 because they are illegal.

22           So there are several on there that are  
23 --- that are in that category. I'm not sure --- I --- I  
24 didn't go through the list to see which ones are --- are

1 in that category. But there are 126 chemicals on the  
2 priority pollutant list. West Virginia has a criteria  
3 80 of these. And EPA has recommended criteria for a  
4 121.

5 So it's --- EPA doesn't have something  
6 for ever single criteria that it gets, and the priority  
7 pollutants aren't chemicals that you would see in waters  
8 anymore. Or at least, it wouldn't --- you wouldn't see  
9 it in permits anymore. And we have criteria for 80 of  
10 these.

11 So --- so then it led me to look at what  
12 EPA's rules are on recommending the states to adopt a  
13 criteria. And when you look at the 304(a) criteria and  
14 a reference here to their Federal Rule --- Water Quality  
15 Standards Rule 131, states must adopt water quality  
16 criteria to protect their designated use. And we have  
17 to review water quality criteria to identify specific  
18 water bodies, which may be adversely affecting quality  
19 or obtaining the designated use.

20 So that's generally what they say ---  
21 what they tell states that they need to --- that they're  
22 responsible for, as far as including toxics in their  
23 criteria.

24 And what Erica said is, if it's a



1 priority pollutant, if EPA has 304(a) recommendations  
2 for that pollutants, if the pollutant is reasonably  
3 expected to interfere with uses in the state, the state  
4 must have an apparent criteria.

5           So that's --- that's where she --- where  
6 they were there coming from, that if --- if there's a  
7 reasonable expectation, that a pollutant would exist in  
8 West Virginia waterways or would affect designated uses,  
9 then you would need a criteria for it.

10           And of course, EPA can also ask states  
11 for an explanation as to why they haven't adopted  
12 certain pollutants and standards.

13           And ultimately, they can promulgate  
14 standards for states. But they would start by asking,  
15 you know, a state why --- why they don't have particular  
16 toxics in their criteria.

17           And that led me to reiterate about the  
18 comments they made to us this year, when we recommended  
19 these criteria. I recommended --- I talked about this  
20 before.

21           But this is the comment that EPA made to  
22 West Virginia this year, when we proposed these 24  
23 revisions that are currently proposed for --- to the  
24 Legislature.

1                   They said that our revisions are  
2 consistent with 304(a) recommended criteria. I mean, of  
3 course they are, because what we proposed were EPA  
4 criteria. The question here is, the one that we didn't  
5 propose, they haven't mentioned, haven't asked us to  
6 propose the rest of the criteria.

7                   They made up --- like Angie mentioned  
8 before, I think that they did mention that on their  
9 comment to us previously when we proposed the 56  
10 revisions. But they didn't reiterate that this year,  
11 they --- they have instead just said they have no  
12 further comment, you know, we're adopting 24 criteria  
13 that are consistent with their 304(a) criteria. So  
14 although they can ask states to adopt official criteria,  
15 in this case they haven't done so.

16                   And that was basically to describe what  
17 priority pollutants are, in a general way how EPA  
18 recommends the states want to adopt.

19                   And do we --- do we have any comments or  
20 questions about priority pollutants? I know this is  
21 kind of a rough overview.

22                   MS. ROSSER: Thanks for the overview,  
23 Laura. Yeah, I --- I guess my question would be, has  
24 the EPA done an assessment of --- it sounds like there

1 was a two part test here.

2 Do they exist and is there potential for  
3 interfering with designated uses of --- I guess it was  
4 --- I'm thinking it might have 41 that we don't have  
5 where EPA has a recommendation.

6 CHAIR: Right.

7 I --- I --- I would need to look into  
8 that a little more to see what we have, as far as  
9 assessment. I know that we have --- we have certain  
10 known --- known issues like PCBs, and some records or  
11 dioxins, you know, in the Kanawha river.

12 We --- we know about those. And those we  
13 have recommended fish --- fish recommendations ---  
14 fishing recommendations based upon those. But beyond  
15 that, I'm not --- we need to look into them.

16 MS. ROSSER: Yeah. Because I have --- I  
17 mean, you would have to --- have to --- you have to  
18 sample for it.

19 Right?

20 CHAIR: Right.

21 MS. ROSSER: But onlooking, do you know  
22 how many are in use that are actively being discharged?

23 CHAIR: I --- I would have to check with  
24 --- with permitting on that, see what we have in --- in

1 --- in discharge.

2           And that --- I would think that most of  
3 the monitoring is done by permittees if they have  
4 certain criteria and things in their permits.

5           MR. MANDIROLA: Keep in mind, the NPDES  
6 process, every issuance, and initial issuance and  
7 reissuance, permittees for all major individual permits,  
8 which would be the industrials, have to do what's called  
9 --- I think it's a foresee list of compounds.

10           And then all of the priority pollutants  
11 and a number of other things that EPA identifies in the  
12 NPDES program to see if you have reached a potential for  
13 anything.

14           If --- if they show up in that analysis,  
15 in the reissuance, then the NPDES folks have to evaluate  
16 whether there's reasonable potential to exceed any  
17 standards.

18           So there is a reissuance of general  
19 evaluation based on EPA and NPDES lists. It doesn't ---  
20 it's not just dependent on the water quality standards.  
21 You're not just looking for what each state has for  
22 water quality standards, you're looking for --- to get  
23 the general list of parameters that EPA has identified  
24 in the NPDES program.

1 Does that make sense?

2 MS. ROSSER: And then when the --- when  
3 the --- your permits are looked at, are they just  
4 running it up against what they have existing energy  
5 marks.

6 MR. MANDIROLA: No, they're looking at  
7 the entire list of every --- of --- of what you're ---  
8 what you're analyzing for.

9 MS. ROSSER: How ---?

10 MR. MANDIROLA: If --- well, for  
11 instance, for chlorine, I believe it's one. We don't  
12 have a standard for it. But it's used in an explosive  
13 facility or something in the Eastern Panhandle. I think  
14 it's for chlorine. I --- I'd have to go back and  
15 double-check.

16 But we ended up putting a limit in for  
17 them, that they ---. This is number of years ago. They  
18 appealed it, but it ended up sticking. They accepted  
19 it. And it was based on the data that's out there and  
20 available. You know, that --- a lot of the data that  
21 --- that our folks --- you know, normal toxicity data  
22 that's out there, we would look at these again.

23 We did the same thing with P Box. We  
24 don't have a standard for P Box. But we do have a limit

1 maybe in the Chemours permit. And we based it on the  
2 available information that's out there. In this case,  
3 the EPA 70 number.

4 MS. ROSSER: And that did stick?

5 MR. MANDIROLA: That did stick.

6 MS. ROSSER: Did that stick with the  
7 form?

8 MR. MANDIROLA: Yes, yes. Yes, it did.

9 MS. ROSSER: On all feedback?

10 MR. MANDIROLA: It's CA --- C3 is what we  
11 put in there.

12 MS. ROSSER: I --- I --- okay.

13 I've been trying to follow the appeals on  
14 that, and --- and it --- and it --- another compound,  
15 and they --- they appealed. And that they are just  
16 monitoring all the events of this?

17 MR. MANDIROLA: That's correct. There's  
18 additional P Box compound and other than C-3 and C-8.  
19 Some of the history on that, that I recall, was we  
20 requested during the permitting process for them to  
21 identify any other derivatives of C-8 and C-3 that might  
22 be present.

23 They sent back to us and said there's  
24 nothing else present. So we put in their permit, you

1 can't discharge anything --- any other P Box compound  
2 except the C -- 8 and C-3.

3 And I believe they then appealed it, and  
4 said no, no, we actually like having derivatives in  
5 there. So we put monitoring in there for ---. And they  
6 now have to monitor to determine whether they have other  
7 P-Box compound in their discharge, on top of the C-8 and  
8 C-3 limits.

9 And I believe it's a --- a history ---  
10 something very similar to that, I believe.

11 Now, Jason may know more because he has  
12 been involved in that. But that was the last, that I  
13 recall ---

14 MS. ROSSER: Yeah.

15 MR. MANDIROLA: --- having been somewhat  
16 involved.

17 MS. ROSSER: May I --- I just --- I just  
18 wonder was there any enforceability of --- of setting  
19 limits out?

20 Anyway, Laura, this might be a  
21 wonderful ---.

22 MR. MANDIROLA: And the point I was  
23 trying to make was, it --- the issue is, they are  
24 analyzing a bigger list that just support a quality

1 standard.

2           So there is some data out there to  
3 determine whether folks have --- or when there's certain  
4 compounds that we may not have a water quality standard  
5 for are present to be discharged.

6           MS. ROSSER: Okay.

7           Well, that's --- that's somewhat  
8 reassuring to hear. I --- it just --- I still don't  
9 know why that would preclude us from developing water  
10 standards around these --- these 41.

11           CHAIR: It wouldn't preclude us from it,  
12 it's just it's Scott pointing out that there are several  
13 chemicals that are in --- that we don't have standards  
14 for, for various reasons.

15           And thank you again, Scott, for chiming  
16 in, that was super helpful.

17           Okay.

18           So if we're ready, and we want to talk  
19 about the other system a little bit before we finish up  
20 today.

21           MR. BRITTAIN: Laura, one comment I'd  
22 like to make before we move on there. Just, you know,  
23 we've also been talking about NPDES permits.

24           But you know the bigger issue for most



1 water qualities --- actually, not employed source stuff,  
2 you know ---.

3 I know for example, in our particular  
4 world, in remediation, we have discharges from  
5 contaminating groundwater coming into --- coming into  
6 surface water that we deal with on a regular basis.

7 And that's not regulated under an NPDES  
8 permit of any kind. So we're --- you know, we're  
9 obviously doing what we can to stop these discharges as  
10 quickly as possible. But they are --- they are  
11 expensive to stop and time consuming to stop, so ---.  
12 They're ongoing.

13 CHAIR: Right.

14 MR. BRITTAIN: Some of them are worse  
15 than others. And a lot --- and a lot of them end up on  
16 on the surface water.

17 CHAIR: All right.

18 And we would --- we would need to expand  
19 our Assessment Program to be able to test for --- for  
20 background, just in general not associated with permits.

21 MR. BRITTAIN: Yeah. From --- from my  
22 standpoint, when I look at those chemicals that are not  
23 on --- that we do not have water quality standards for,  
24 the one that standards out in my mind is NFALE because

1 that is common contaminant in gasoline leaks from gas  
2 stations all across the state, so ---. And --- and it's  
3 --- and it's very toxic as well, so ---.

4 That would be the one that I would look  
5 at and say, it --- it --- I'm concerned about the fact  
6 that --- that it's not all there.

7 CHAIR: Okay. All right.

8 So let us move on and talk but IRIS  
9 System, Integrated Risk Information System. This the  
10 --- what --- what is used by EPA to identify  
11 characteristic health hazards of chemicals that are  
12 found in the environment. And again, I have a list ---  
13 a link down here to a website for this.

14 So our assessments provide several  
15 indicators that are used in various --- various areas in  
16 addition to water quality standards.

17 But for water quality standards, it's  
18 what we're --- what one would provide as a reference  
19 dose, which is an estimate of daily works --- or world  
20 --- world exposure to human --- human population that's  
21 likely to be without potential risk.

22 So it's --- a reference dose is the ---  
23 the dose that a --- a human cannot have a --- have a  
24 risk of a --- of an effect from.

1                   And then it also provides cancer  
2 descriptors, which characterize the likelihood of the  
3 cancer being --- or the chemicals being carcinogenic.

4                   And there are different descriptors that  
5 they use. They either know the cancer --- chemical is  
6 carcinogenic, or it's likely to be, or there is  
7 suggestive evidence of it being carcinogenic, or  
8 sometimes they have inadequate information or they can  
9 list it as not likely to be.

10                  So there's a --- a wide range of --- of  
11 information known and unknown to determine whether a  
12 chemical is a cancer causing --- causing agent. And in  
13 many cases, they just aren't certain.

14                  So to talk about what the IRIS --- the  
15 IRIS does as far as a risk assessment. So risk  
16 assessment is a four step process that's described by  
17 the NRC, which is the National Research Council. And  
18 it's --- risk characteristic --- characterization is the  
19 characterization of the potential adverse human effects  
20 of human exposures to environmental hazards.

21                  So in this process, this flowchart here  
22 is from --- from a website that I referenced on a  
23 previous page. The IRIS System helps with the first two  
24 parts of this process, which are the ones that are

1 highlighted in green here. It does hazard  
2 identification and it also does dose response  
3 assessment.

4 Hazard identification identifies  
5 incredible health hazards associated with an exposure to  
6 a chemical. And a dose response assessment  
7 characterizes a quantitative relationship between the  
8 chemical exposure and the credible health hazard. And  
9 these relationships are to be used to --- to --- two  
10 different --- arrived toxicity findings.

11 The public forum ---

12 MR. BRITTAIN: You froze up on us, Laura.

13 CHAIR: --- of the dose response was  
14 the ---.

15 COURT REPORTER: I'm having trouble  
16 hearing you, Laura.

17 CHAIR: It was a reference --- reference  
18 dose that was known for these --- these chemicals.

19 COURT REPORTER: I'm having trouble  
20 hearing you, I'm sorry.

21 ---

22 (WHEREUPON, AN OFF RECORD DISCUSSION WAS HELD.)

23 ---

24 MR. HARRIS: And while we're waiting

1 again. I was just wondering here --- in my longest  
2 fishing in the state, and talking to various fisherman,  
3 many of our West Virginia stocking truck followers are  
4 poachers, and take a lot more fish than you think they  
5 do and put it in their freezer and eat it all year.

6 So the actual fish consumption, I think  
7 is much higher for West Virginians than what you think  
8 it might be, anyway. It's hard to put that in  
9 perspective, I realize, because it's not a  
10 scientifically objective grade.

11 MR. BRITTAIN: Well, let me --- Larry, we  
12 did a fish consumption survey not too long ago, and it  
13 came out at like 9.9.

14 We are not using that in the calculation  
15 of these criteria, we're actually accepting EPA's new  
16 revised fish consumption. Which Chris, if I'm not  
17 mistaken, it's not 17 anymore, right, it went up?

18 MR. SMITH: Twenty-two (22).

19 MR. BRITTAIN: Twenty-two (22).

20 Right?

21 MR. SMITH: Yes, it did. Yes.

22 MR. BRITTAIN: Okay. Yeah.

23 MR. SMITH: Right.

24 MR. BRITTAIN: So we're --- we're using

1 22, which actually based on the survey that we did is  
2 over twice what the consumption rate in West Virginia  
3 is.

4 So we should be in the --- in the area of  
5 protecting, based on that, I would assume, Larry.

6 Does that make sense?

7 MR. HARRIS: Yeah. Well, certainly, it  
8 does. I didn't know you were doing that.

9 MR. MANDIROLA: Yeah, we're ---

10 CHAIR: It's so good to hear ---.

11 MR. MANDIROLA: --- we're accepting  
12 EPA's. We didn't go by ours.

13 CHAIR: It's so good to hear that you  
14 guys used your time wisely when I got picked out of the  
15 meeting and tried to get back in. And I come back in  
16 here, and you're still talking about standards. Thank  
17 you.

18 Again, Scott, I can't thank you enough  
19 for how much help you've given today.

20 MR. MANDIROLA: I try.

21 CHAIR: Thank you so much. I was ---.

22 Is there anymore follow-up about that,  
23 Larry, about fish consumption rates?

24 MR. HARRIS: You're muted.

1                   MR. MANDIROLA: Okay. I'm okay.

2                   CHAIR: Awesome. All right.

3                   Can you guys see my screen again?

4                   All right.

5                   So this was the last slide about the IRIS  
6 System. I was going to go all into Benzo(a)pyrene for  
7 this meeting, but it turned out that it was harder than  
8 I thought it was going to be, and I had less time than I  
9 anticipated I would have.

10                  So I --- I'm asking Ross if he could help  
11 us out with the next meeting to talk more about  
12 Benzo(a)pyrene. So all I have for now is this little  
13 slide talking about general information about the  
14 chemical that's available on IRIS database.

15                  And so in the executive summary which I  
16 sent out to you all right after the last meeting, you  
17 --- right now if you looked into it, you would see that  
18 they talk about the general properties of Benzo(a)pyrene  
19 and that it's neurodevelopmental effects are determined  
20 to be the most sensitive of the possible noncarcinogenic  
21 effects.

22                  But Benzo(a)pyrene is considered a  
23 carcinogen, so it's calculated as such on EPA's  
24 criteria. And so --- and also the --- the revision to

1 the IRIS database changed the cancer slope factor of  
2 Benzo(a)pyrene from 7.3, which is what it used to be to  
3 1. And that's what we would talk about --- what we can  
4 talk about in the next meeting what exactly --- what  
5 exactly informed that change.

6 And I do apologize that I don't have that  
7 for this meeting, but again I think we will have a much  
8 better discussion led by Ross on this topic next time.

9 So with that, go ahead. Somebody.

10 All right.

11 With that, if there's any additional  
12 discussion that we want to have before we talk about the  
13 next meeting, then we can go back and look at any of the  
14 slides that we went through or --- or I can get off of  
15 these slides all together if you want to just talk about  
16 anything else.

17 And I think we had some really useful  
18 discussions today that were --- that kind of went off in  
19 a very useful tangent from what we --- from the  
20 questions that we had talked with EPA about last month.  
21 So I'm really appreciative of everybody chiming in and  
22 having those discussions and ---. Yeah. And I think  
23 that's --- I think that was really helpful.

24 Let's --- let's talk about the December



1 meeting that's coming up. So like I said, I would like  
2 to talk more about Benzo(a)pyrene update, the cancer  
3 slope factor to that chemical in the IRIS database next  
4 month. If --- if there are any other suggestions or any  
5 other things that we want to talk about ---.

6 Let's see. I think there might have been  
7 something.

8 Angie had asked about the Region --- the  
9 Region 4 state that was looking to adopt less than 94  
10 criteria. I can check with EPA about that. And we  
11 might be able to just get an answer to that pretty  
12 easily, not having to go into in the next meeting. I  
13 might be able to send you an e-mail about that.

14 MS. ROSSER: Right.

15 Is it possible that we can look at --- of  
16 those 41 priority pollutants, which ones are in use in  
17 West Virginia? Do we have enough time between now and  
18 December to get that information?

19 CHAIR: Yes, I think we should be able to  
20 do that.

21 So basically the --- which ---.

22 Go ahead.

23 Is that Scott?

24 MR. MANDIROLA: Yes.

1           Is Benzo(a)pyrene the only one that has  
2 changed significantly since they did the update in ---  
3 in that list?

4           CHAIR: IRIS does toxicity reviews ---  
5 toxicology reviews periodically. And that is the only  
6 one that has popped up to us, that they have done since  
7 the 2015 update.

8           MR. MANDIROLA: Okay.

9           Of the --- of the compounds we're looking  
10 at right now, the 24, that's the only one?

11          CHAIR: It's the kind of revision  
12 that --- I believe --- I believe so. I believe that is  
13 the only one ---

14          MR. MANDIROLA: Okay.

15          CHAIR: --- that had a new tox review in  
16 the IRIS database since --- since December 2015.

17          MR. MANDIROLA: But it's updated to a  
18 compound.

19           Is that right?

20           Because it's not just --- it's --- it's  
21 used for other ---

22          CHAIR: Yeah.

23          MR. MANDIROLA: --- EPA?

24          CHAIR: And that's ---.

1           Yeah. That's why --- that's why it's so  
2 important that we look at it, because it affects several  
3 other compounds as well. Because many of them --- I  
4 noticed --- those other compounds are based off of the  
5 info for Benzo(a)pyrene.

6           MR. MANDIROLA: Okay. Thanks.

7           CHAIR: Yes, we --- we will look into and  
8 report back about what --- what compounds are in permits  
9 in West Virginia that aren't in standards. We can do  
10 that.

11           Do we have any other suggestions for what  
12 we can talk about in December?

13           And since we've had this meeting earlier  
14 in the month, we'll also have a December meeting a  
15 little earlier in the month, so ---. But it will be  
16 four weeks from now. And I'm thinking December 17th, if  
17 that's ---.

18           MR. BRITTAIN: That's actually a  
19 Thursday, Laura.

20           CHAIR: Oh, yeah, I was thinking last  
21 minute --- I'm thinking Wednesday. And I was like, I'm  
22 pretty sure that's actually a Thursday, yes.

23           I'm trying to recall why I needed it to  
24 be Thursday. But I think there was a reason that

1 Wednesday wasn't going to work.

2 So would Thursday, December 17th work for  
3 everyone?

4 MR. HARRIS: Works for me.

5 MR. MANDIROLA: Works for me.

6 CHAIR: Hearing --- hearing no  
7 objections, we will go with that date and time. And  
8 I'll send it out to you next week, so marking it off the  
9 calendar.

10 And I think that's --- that's the last  
11 slide, of course.

12 So yeah. So next month we'll talk about  
13 Benzo(a)pyrene. Ross will help us with that. Talk  
14 about what happens by the cancer slope factor change,  
15 and why that's important and the other chemicals that it  
16 affects.

17 We'll also look into --- of the priority  
18 pollutants on that, West Virginia doesn't have criteria  
19 for, which one of those here that we --- that we use in  
20 West Virginia and any permits that we have.

21 MS. CROWE: It would be useful, too, if  
22 we could look at the permit limits and compare those  
23 with the criteria.

24 I don't know if that's possible for all

1 40 of them. But maybe just like a case study looking at  
2 one of them or a couple ---.

3 CHAIR: Yeah, we'll --- I'll see if ---  
4 I'll see if we can --- if we can arrange that.

5 MR. MANDIROLA: What do you mean by that,  
6 I'm --- I'm confused? The permit limits?

7 MS. CROWE: Just looking at comparing the  
8 permit limits to the discharge limits, if there are  
9 discharge limits, with the EPA recommended criteria.

10 MR. MANDIROLA: For the compounds we  
11 don't have standards for, is that what you're saying?

12 MS. CROWE: Right.

13 MR. MANDIROLA: Yeah, it's just likely  
14 only going to find --- the only ones that I'm aware of,  
15 that we have limits and permits that we don't have  
16 standards for are going to be Safety 3 and then that ---  
17 I think it's for chlorine. I don't think we have any  
18 others that have limits.

19 Is there ---?

20 MS. HENTHORN: I'm aware of others.

21 MR. MANDIROLA: Okay. Great.

22 That's everything I ---.

23 CHAIR: Okay. Yeah.

24 So we'll look into that. We'll have that

1 for next time.

2 And if --- if we don't have anymore  
3 discussions, I hope everybody has a lovely and safe  
4 Thanksgiving holiday.

5 MS. ROSSER: Thanks, Laura.

6 MR. BRITTAIN: Thank you, Laura.

7 MR. HARRIS: Thanks, Laura.

8 MR. MANDIROLS: Likewise, Happy  
9 Thanksgiving everyone.

10 \* \* \* \* \*

11 VIDEOCONFERENCE MEETING CONCLUDED AT 11:39 A.M.

12 \* \* \* \* \*

13

14

15

16

17

18

19

20

21

22

23

24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

I hereby certify, as the stenographic reporter, that the foregoing proceedings were taken stenographically by me, and thereafter reduced to typewriting by me or under my direction; and that this transcript is a true and accurate record to the best of my ability.

I certify that the attached transcript meets the requirements set forth within article twenty-seven, chapter forty-seven of the West Virginia Code. This notarial act involved the use of communication technology.



Court Reporter

Danielle S. Ohm