

STATE OF WEST VIRGINIA

DEPARTMENT OF ENVIRONMENTAL PROTECTION

\* \* \* \* \*

IN RE: HUMAN HEALTH CRITERIA WORKGROUP

\* \* \* \* \*

BEFORE: LAURA COOPER, Chair  
CHARLES "LARRY" HARRIS, Member  
JENNIE HENTHORN, Member  
SCOTT MANDIROLA, Member  
REBECCA MCPHAIL, Member  
AUTUMN CROWE, Member  
ANGIE ROSSER, Member  
CHRIS SMITH, Member  
ROSS BRITTAIN, Member  
Harold Ward, Member

HEARING: Wednesday, January 27, 2021  
10:17 a.m.

LOCATION: Video Conference Hearing

Reporter: Bailey Kane

Any reproduction of this transcript  
is prohibited without authorization  
by the certifying agency

I N D E X

1		
2		
3	DISCUSSION AMONG PARTIES	4 - 104
4	CERTIFICATE	105
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

E X H I B I T S

<u>Number</u>	<u>Description</u>	<u>Page</u> <u>Offered</u>	<u>Page</u> <u>Admitted</u>
---------------	--------------------	-------------------------------	--------------------------------

NONE OFFERED

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

-----

CHAIR: I want to get started with just  
--- let's just go right to worker goals because I know  
that's like the thing that we really need to resolve  
before we can ever move on with our lives.

And we've had a lot of e-mails around and  
at the last meeting we talked about and then I kind of  
cut off and ended and, you know --- oh, I wanted to show  
you guys something first of all. This is my --- my  
mantra for this year. I just --- probably everybody  
everybody's already knew about this --- this quote, but  
this is my --- this is my first --- first year of really  
living by this. Ever tried. Ever failed. No matter.  
Try again. Fail again. Fail better. And that's what  
I'm doing all the time now.

So I'm very excited about knowing that  
that is just --- you know, when you don't fail at  
something it's because you're not trying. And if I had a  
failure last month during our meeting then so be it. We  
move on. We do better.

So I wanted to start today with just ---  
let's look at the goals that Larry sent to us yesterday  
evening, which are really close to the goals that he sent

1 to us earlier to this month. I think they're just kind  
2 of moved around a little bit.

3 MR. HARRIS: Yeah.

4 CHAIR: And let's see if we can just come  
5 to an agreement on what goals we should have moving  
6 forward. And finally we'll have that and be ready to go.

7 Do you guys see this work document now? I  
8 see like a green line but I'm not sure.

9 MR. HARRIS: Okay. Got it.

10 CHAIR: All right.

11 This is --- this is what Larry sent us  
12 yesterday. And I just wanted to start from here and just  
13 get full consensus on these goals before we move on.

14 Does that sound all right to everybody?  
15 Okay.

16 MR. BRITTAIN: Good with me.

17 CHAIR: And I don't --- I don't mean do  
18 the goals sound good to everybody. I just mean the  
19 concept of let's starting --- let's start here.

20 So Larry --- Larry and Angie I believe,  
21 you guys --- well, you --- I think you worked together on  
22 coming up with this language when you sent it out earlier  
23 this month, and it's very similar to what was sent out  
24 earlier this month.

1                   Well, worker goals that I had on our ---  
2 that I have on our presentation slide that was just what  
3 we --- I was just going to throw that up there and it was  
4 again just going to be a starting point. But it doesn't  
5 matter where we start from because we'll end up with  
6 something that we all agree on, so we can work with ease.

7                   And Larry, can you just take a moment and  
8 try --- and kind of just go over these with us and how  
9 --- how you feel like they would be the best set of goals  
10 for us to have?

11                   MR. SMITH: Yeah.

12                   MR. HARRIS: Can you ---?

13                   MR. SMITH: And one second, Laura. I'm  
14 sorry.

15                   Are you recording this? I don't see where  
16 it says recording at the top of the screen.

17                   CHAIR: Thank you, Chris.

18                   MR. SMITH: You're welcome. Sorry to  
19 interrupt there.

20                   MR. HARRIS: That's okay.

21                   Can you hear me now?

22                   CHAIR: Yeah, we can hear you. I paused  
23 the recording when I started just for small talk and ---  
24 and ---.

1                   MR. HARRIS: Well, you know it's --- in  
2 some ways it's a little late in the game for us to still  
3 be working on our goals. But they're really --- the way  
4 I --- I actually did the ones you just put up here. And  
5 I looked on the one you sent most recently with the PDF  
6 PowerPoint you just sent out and I thought well, what  
7 have we done? I mean, I think the goals should be action  
8 oriented so I --- to learn, to reach consensus, to submit  
9 our --- our action comments, and then what did we learn?

10                   Well, we learned about water quality  
11 standards. We learned about how science is used to  
12 determine those standards. We spent a lot of time doing  
13 that. We've already done that. And we learned about the  
14 recent changes made by the EPA. Maybe there's a better  
15 way to word that, but I think we get it. And then our  
16 goal to reach consensus was what you had on the bottom of  
17 your --- your last slide, Laura.

18                   CHAIR: Yes. Yeah.

19                   MR. HARRIS: And it's exactly what we're  
20 looking for. And then the thing that was missing is oh,  
21 then we have to --- our goal is to submit those changes  
22 to the EPA and to the legislature. So that's how I --- I  
23 thought these better described what we've done. And the  
24 wording, you know, I'm willing to accept any kind of

1 changes that people want to make, I --- or any changes to  
2 this too. It's just a point that it's sort of  
3 descriptive of what we done.

4 CHAIR: Right.

5 And I'm also fine with any changes that we  
6 make or whatever we come up with. Just that I'm --- I'm  
7 focused that we all just be able to --- I just wanted us  
8 to be able to talk about this together today. So we're  
9 all here to get this set and --- and move --- move on.

10 My only --- my question about this is the  
11 to submit, the Workgroup is really submitting to the  
12 Secretary for the Secretary's perusal what we feel would  
13 be the next bit of Human Health Criteria that should be  
14 purposed to the legislature. We won't be submitting to  
15 the legislature or to EPA. We as the Workgroup will  
16 submit it back to DEP Secretary. So I think we might  
17 need to reword that.

18 MR. HARRIS: Yeah. That's --- sure.  
19 However you think that's the right way to word it is the  
20 way it should be done.

21 MR. MANDIROLA: We could say to recommend  
22 to the Secretary the above standards for approval by EPA  
23 and legislature or something like that.

24 CHAIR: Will that make sense, Larry, for



1 it just to say to recommend?

2 MR. HARRIS: Yeah. Yeah.

3 CHAIR: And then ---.

4 MR. HARRIS: That's what we're supposed to  
5 do.

6 CHAIR: Yeah.

7 MR. MANDIROLA: Because that's what we're  
8 basically going to be doing. We're going to be  
9 recommending it to the DEP Secretary and then from there  
10 it will go forward, you know, hopefully legislature and  
11 the Secretary --- and the EPA.

12 MR. HARRIS: Yeah.

13 CHAIR: So we --- we recommend back to the  
14 Secretary so we'll need to change the --- some of the  
15 words down on this bottom line too I think to --- to make  
16 that clear, like to recommend the above standards for  
17 consideration by the DEP Secretary. Does --- I mean,  
18 something like that? Who else has thoughts on how we  
19 should ---?

20 MR. HARRIS: I thought how we established  
21 it looked perfectly actually.

22 MR. MANDIROLA: If you leave everything on  
23 the bottom okay and just said to recommend --- make the  
24 to recommend to the Secretary the above standards for

1 approval by EPA and legislature. So we'll be  
2 recommending it to the Secretary based on what we believe  
3 should be approved by EPA and legislature, but the  
4 Secretary is going to make the final decision on --- on  
5 what's submitted. And obviously we're a governor level  
6 agency so, you know, a cabinet level agency we --- we  
7 need to get approval to do all of that.

8 Does that make sense?

9 MR. HARRIS: It sure does to me, anyway.

10 MR. MANDIROLA: Are folks okay with that?  
11 Do folks have other tweaks they think are necessary?

12 I just think it's important we get over  
13 this hump. We had kind of --- I won't say a blowup, but  
14 we had, you know, some issues at the end of the last  
15 meeting which sparked some e-mail traffic which, you  
16 know, I --- I don't think was very productive. I  
17 understand the reasoning behind it because the goals  
18 changed a little bit and the whole group didn't know  
19 about it. I think it's important that we at this point  
20 kind of come to some consensus on this so that we can  
21 move forward with more of the science that we're --- that  
22 we've been talking about in the past couple meetings and  
23 we get this behind us.

24 So does anybody have any other suggested

1 changes?

2 SPEAKER: Scott, I think it looks good.

3 MR. MANDIROLA: Thank you.

4 SPEAKER: Awesome.

5 MR. MANDIROLA: Thank Larry.

6 SPEAKER: And Larry.

7 MR. HARRIS: All I did was move stuff  
8 around.

9 CHAIR: All right. If we're ---.

10 MR. MANDIROLA: Angie, how about you?

11 MS. ROSSER: I just gave a thumbs up.

12 MR. MANDIROLA: Okay. Sorry.

13 MS. ROSSER: Thank you.

14 MR. MANDIROLA: Yeah. I can't see  
15 everybody on the screen. I can only see five people at a  
16 time.

17 MS. ROSSER: Thank you.

18 CHAIR: All right.

19 Well, that part of it was much faster and  
20 quicker than --- than I would have expected. So if we're  
21 cool with these we're going to put them in stone and  
22 going to send them to the stone --- the stone mason later  
23 today and he's going to start chipping away and then that  
24 will be that.

1                   MR. MANDIROLA: Lock them down. Send them  
2 out in an e-mail to everybody has them on this date.

3                   CHAIR: Yep. I'm going to --- I'm saving  
4 it I think. Yeah. Okay. It's saved. I'm going to stop  
5 that share so you guys can all see everybody again.

6                   MR. HARRIS: Look how nice this consensus  
7 stuff is.

8                   CHAIR: Yeah. And it turns out its really  
9 easy.

10                   MR. HARRIS: Okay.

11                   CHAIR: Who knew that?

12                   MR. HARRIS: Yeah. I --- I was hopeful.

13                   CHAIR: Okay.

14                   So past the goals I also wanted to talk  
15 somewhat about the questions that Larry asked when he  
16 sent us an e-mail in early January, the New Year's ---  
17 New Year's Day kind of e-mail. He asked a few questions  
18 and that kind of gets at what --- you know, how we're  
19 just talking about how we're moving forward, what we're  
20 doing next.

21                   Did you have --- does anybody have  
22 something they wanted to add right there? Okay.

23                   MR. HARRIS: Yeah. To be clear Angie was  
24 --- offered those questions.

1                    CHAIR: Okay. Great.

2                    So Angie and Larry. Yes, and you did say  
3 that in the --- in the e-mail that you guys came up with  
4 those questions together.

5                    And so the first one how we'd be spending  
6 our time in the remaining meetings, and I think that's an  
7 excellent question, obviously. And the way that we're  
8 really going to focus in our time now is looking at ---  
9 we have 36 criteria that are in the Water Quality  
10 Standards Rule, have always been there and they are not  
11 --- and they're the ones that we didn't already propose  
12 revisions to. So those are the ones we're focusing in  
13 on. Hold on. There's like a street sweeper going by.

14                    Okay.

15                    So those 36 criteria we're --- we're going  
16 to look at in whatever reasonable chunks that we --- that  
17 we feel are the best to --- to look at in the remaining  
18 meetings. Of those we've already looked at the  
19 carcinogenic PAHs. That's what we did last month. Which  
20 are the ones that are all related to benzo(a)pyrene.

21                    There is another group of PAHs. And we're  
22 going to look at those in --- later on in this meeting.  
23 But in general I wanted to make sure --- and if you  
24 looked at the slides you can see that I just have five

1 --- four blank slides out there for February, March,  
2 April and May meetings. We're just going to figure that  
3 out today what we're going to exactly talk about in those  
4 meetings.

5                   So does anybody have any comments on that,  
6 like how --- how we're going to spend that time and how  
7 we're going to later on in this meeting plan --- plan  
8 that out, just in general?

9                   MS. ROSSER: Laura, this is Angie. The  
10 first general response I have to that is looking back at  
11 our goals of reviewing EPA's updates, there are 94 of  
12 those, and --- and we're of the mind that we should be  
13 reviewing all 94 not just the 36.

14                   MR. MANDIROLA: Okay. Let me comment on  
15 that.

16                   I understand we want to go and look  
17 ideally at 94 and --- and I understand that you also  
18 brought up the comment about relooking at the priority  
19 pollutants. Not all of those are involved in this Human  
20 Health Criteria. And I understand that, and I'm not  
21 necessarily opposed to taking a look at that once we get  
22 done with what we originally set out to do here. I mean,  
23 we were proposing 52 to start with and the language  
24 that's currently in the rule, not the proposed, talks

1 about reviewing the --- the Human Health Criteria in  
2 Sections 8.5 and 8.6 or 8.3 or 8.4.

3                   So I think it's prudent that we first  
4 focus on the group. We've done 24 out of the 56. I  
5 think we need to focus on the remainder of those first.  
6 And, you know, I --- I think everybody would agree we're  
7 going to have limited time with the next five --- four  
8 meetings. So maybe we'll get beyond these. Maybe we'll  
9 get through these relatively quickly and we'll be able to  
10 move on and --- and take up some more. But initially I  
11 think we need to focus on the 34 that are in ---  
12 currently in the rule on those pages or in those  
13 sections.

14                   Does that make sense? I know you may not  
15 --- you may want to go further, but I think we need to  
16 try to accomplish what we've set out to accomplish before  
17 we start taking on ---.

18                   MS. ROSSER: I'd be okay with sequencing  
19 that way. I think --- I think we do have time. I hope  
20 we will. I mean, that's what --- what --- and the way we  
21 might sequence it further is to take a look at the  
22 overlay with the --- the priority pollutants. That might  
23 be a good place start or --- or what we know to be in use  
24 in West Virginia.

1                   MR. MANDIROLA: Like I'm --- I'm not  
2 necessarily opposed to taking a look at the path forward  
3 after we finish the 34, but I think we got to focus on  
4 those first because that's been --- that was our  
5 commitment to legislature, was to look at the updates in  
6 --- in those two sections, and I'm looking for those  
7 sections --- the sections right now. I don't know that  
8 it really matters that much, but --- I'm trying to look  
9 at the word, the exact wording so we know.

10                   But is that --- you know, everybody okay  
11 with that? I mean, I think that's important that we ---  
12 we know what we're focusing on initially before we expand  
13 it to the point where it's ---.

14                   CHAIR: I --- I agree.

15                   MR. MANDIROLA: --- it may be too  
16 cumbersome.

17                   CHAIR: I believe we need to start with  
18 the remaining 36 and if we can get past that that would  
19 be --- you know, that would be great. But I feel like  
20 --- and it does say specifically in section 8.6 in the  
21 --- the language that we put --- that we proposed  
22 there ---.

23                   MR. MANDIROLA: Yeah, 8.23 and --- the  
24 updates --- the way it's currently written is the



1 Secretary shall propose updates to the numeric Human  
2 Health Criteria found in appendix E subsection 8.23,  
3 organics and section 8.25, phenolic materials.

4 So our --- our initial charge here is to  
5 look at those updates for what's currently in our rule.  
6 So I think, you know, our plan --- our immediate plan  
7 needs to focus on those. That's my two cents.

8 CHAIR: Yeah. I --- I agree.

9 What does everybody else think? Jennie, I  
10 see you ---.

11 MS. HENTHORN: Yeah. I agree with Scott.  
12 And to the extent we have --- have to do more than let's  
13 --- let's go after it then.

14 MR. HARRIS: We have to start somewhere so  
15 why not start ---?

16 CHAIR: Right. Okay.

17 And as far as how we'll look at those in  
18 our remaining meetings, again, we can --- we can talk  
19 about that later in this meeting. But --- and I think  
20 it'll be better to have that discussion after we go  
21 through what we have to go through in this meeting so  
22 that we'll have a better idea of what kinds of things to  
23 --- we're going to --- to want to look at for --- for  
24 those chemicals for the remaining meetings.

1                   So another question that Larry asked was  
2 how will we reach consensus on a set of science-based  
3 water quality standards. And I --- I think that it's  
4 important that we --- and I think --- and Ed brought up  
5 when --- when I was speaking to him last week, you know,  
6 that consensus is really --- it's a word that we kind of  
7 misunderstand to be --- to mean that everybody is  
8 completely on --- onboard, I mean, everybody's completely  
9 in the same thinking.

10                   We're never all going to be in the same  
11 way of thinking. We know that's not going to happen.  
12 But what we can do is work together to come up with a  
13 consensus of what we can all agree on to propose back to  
14 the Secretary. And I think we're going to have to spend  
15 a portion of the May --- May meeting, the final meeting,  
16 coming up with what exactly is --- narrowing it into that  
17 and coming up with that consensus for that --- for that  
18 general agreement, or what everybody can live with.

19                   And Scott's mentioned this too, and I've  
20 talked to him recently, that he does a lot of work with  
21 the Chesapeake Bay Group, which is a lot of states that  
22 have very --- hugely varying opinions on how things  
23 should work. And then the way they make decisions is ---  
24 you know, it's what can you live with. And, you know, if

1 a state absolutely can't live with something they'll  
2 raise their hand on that, but that doesn't mean that  
3 they're for sure, you know, completely 100 percent happy  
4 with whatever is decided. It's just, you know, they know  
5 that they have to --- they have to come together in some  
6 way. So hopefully we'll be able to do that. And that's  
7 what ---.

8 MR. MANDIROLA: And it was --- can --- can  
9 I add something real quick?

10 CHAIR: Please do.

11 MR. MANDIROLA: You know, Larry made a  
12 good point at the last meeting that consensus isn't  
13 everybody holding hands and agreeing on everything. The  
14 Chesapeake Bay Group that deal with is a great example of  
15 that as Laura said. You --- you got eight jurisdictions  
16 with vastly different approaches.

17 You got headwater states and bay proper  
18 states and what the bay proper states the headwater  
19 states don't care about what the --- what --- you know.  
20 Bay proper states make a huge amount of revenue from the  
21 bay. The headwater states make virtually nothing.

22 So when things come up we typically take  
23 the approach --- quite often there's things that are  
24 moving forwarding that West Virginia doesn't necessarily

1 wholeheartedly agree with, but in some way there's  
2 concessions that we can live with it so we will move  
3 forward with consensus.

4                   Okay?

5                   We're not going to stand in the way of  
6 consensus. We won't vote and say we agree with this  
7 provision, but what we say is we're not going to stand in  
8 the way of consensus.

9                   Then other times, like New York typically  
10 will --- they will oppose. They say we can't live with  
11 that. And if a jurisdiction can't live with it that's  
12 kind of the threshold, is we just can't live with it.  
13 And at that point, you know, concession, it kind of falls  
14 apart.

15                   Okay?

16                   Consensus falls apart at that point. So  
17 what we need to keep in mind is we may not agree on  
18 everything. The end numbers we may not agree to, but if  
19 we can agree on the majority of the science and the  
20 approaches and use of updated numbers that EPA has come  
21 out with since the 2015 --- you know, updated either fish  
22 consumption rates or IRIS numbers or whatever it might  
23 be, those are the kind of decisions --- we need to figure  
24 out what we can come to consensus and move forward as

1 best we can on those.

2                   You know, it was brought up in the last  
3 meeting should we talk about --- should we --- should we  
4 do voting. Well, I don't view this group voting on it as  
5 being worth much because if you're the --- if you're the  
6 faction that gets outvoted you're going to disagree still  
7 and you're going to do what you're going to do. So  
8 voting on it and saying well, the group voted on it and  
9 the majority said we should do this, it doesn't help the  
10 majority stop fighting their cause.

11                   So --- and it's really not fair for ---  
12 from --- from my perspective, for us to put either the  
13 environmental community in that situation or the ---  
14 industrial groups in that situation because, you know,  
15 the --- both of you represent different groups of people  
16 that you --- you're not going to be able to go against on  
17 certain issues. So for us to sit here and vote and say  
18 oh well, we voted on it, it really doesn't make that much  
19 sense. We need to work towards what we ---.

20                   CHAIR: And also this --- this group  
21 wasn't designed --- the group wasn't --- wasn't put  
22 together with the idea for voting because if it was we  
23 wouldn't have all of these DEP people here. You know,  
24 like Kerry and Chris are both in this group, you know,

1 and --- and they both work for me so ---.

2 MR. MANDIROLA: I mean, that's my two  
3 cents on consensus. I think it's important we go into it  
4 with the understanding that, you know, not everybody is  
5 going to be thrilled with everything all the time, but we  
6 need to look at what we can live with. And that's ---  
7 I've talked way too much already this morning.

8 MR. HARRIS: No. You said it right and so  
9 did Laura. Voting is not the way to go on consensus.  
10 The one thing I would add to what you said is that if you  
11 can't live with something during a discussion, let's say  
12 next month, why do we have to wait a whole month to start  
13 talking about it? You --- you meet with the people who  
14 aren't agreeing between meetings and work it out until  
15 you can come back and say okay, we think we can live with  
16 this --- this now. I --- anyway, that's ---.

17 MR. MANDIROLA: No, I think that's a ---  
18 that's a great --- that's a great point. That is an  
19 absolutely great point. And --- and it follows right  
20 along with the way it works when we're dealing with  
21 Chesapeake Bay. When --- when --- PSC meetings we have  
22 principal staff committee meetings and if there's not  
23 consensus in previous meetings the chair will usually  
24 work with all these different groups in between meetings

1 to try to get to an area where we think we can.

2                   It may not be a hundred percent of where  
3 we started from, but at least it's --- we can move down  
4 the path a little bit and we can agree on that much of  
5 it. That it we can keep that going, the momentum going  
6 between meetings with, you know, phone calls and try to  
7 explain and discuss to get other people on board I'm all  
8 for it. That's --- that's what we need to do to try to  
9 keep thing moving.

10                   We're on a limited timeframe. We know  
11 that. But, you know, I think it's important that we get  
12 as far as we can with the group we got. It's a good  
13 representative group I think.

14                   CHAIR: And I --- I --- I want to  
15 use ---.

16                   MR. MANDIROLA: I'm learning. I've been  
17 in standard since 2006 and when I sit here and listen to  
18 Ross on some of these things I'm learning a lot of stuff  
19 that I kind of knew in the back of my head but never  
20 really understood. So, you know, I think it's been  
21 successful so far in the fact that everybody's been  
22 learning a lot.

23                   CHAIR: And I --- I think I want to --- I  
24 want to use this moment to be like --- it's like there's

1 a lot of --- there's a lot of things that I --- I work on  
2 in --- in my own personal life to --- to get better, and  
3 I know that if something is easy is really worth much,  
4 you know? I mean, things like this, I mean, this is one  
5 of the big things that, you know, that I --- that I super  
6 value what's going on in --- for me right now, is that we  
7 have this group and we're having these discussions.

8           And I think maybe part of what Larry is  
9 saying is not --- not even just between the meetings but  
10 during the meetings. We need to have --- you know bring  
11 up whatever issues you're having. We need to bring those  
12 out in these meetings and that's what we're here for.

13           And I just think that this forum is so  
14 valuable that we --- we're all pursuing this very hard  
15 topic together and --- and that it just --- it just means  
16 a lot to me that we're here, that we're having these  
17 talks every month. And I know that they're hard and  
18 sometimes they end up with a lot of frustration, but that  
19 frustration, even tough it doesn't feel like it is  
20 progress. I mean, that's what progress is, that you had  
21 frustration and you keep moving forward. I mean,  
22 otherwise it's not --- you're not doing anything very ---  
23 very hard.

24           So I --- I thank you all for being here



1 every month. I don't know that anybody has even missed  
2 one of these. It's been really great so far.

3 MR. WARD: Laura, this is Harold, if you  
4 don't mind? I hope everyone can hear okay. I'm having a  
5 few technical difficulties, but I --- I have to exit the  
6 meeting. I've got some prior commitment. But I just  
7 wanted to take the opportunity to let this group know how  
8 much I appreciate their time, their dedication to this.

9 As Laura said the opposing views. You  
10 know to reach --- to reach the goal of developing  
11 standards that are in the best interest of --- of West  
12 Virginia as a whole it takes dissenting views, it takes  
13 debate and it takes collaboration and compromise. And I  
14 --- and I just appreciate the group of individuals. This  
15 is a step forward in something that I've envisioned for  
16 the Agency for a long time. And we --- we do it so well  
17 day-to-day in our normal routine course of business.

18 But what this group has --- has undertaken  
19 is something significant and, you know, we really have  
20 not seen this type of involvement that I'm aware of with  
21 the Advisory Council. And in my mind as I read the  
22 statutes and the defining guidelines, this is exactly  
23 what this group should be doing. And as an agency we  
24 appreciate it, we embrace it and we want more of it going

1 forward. The more we communicate --- Larry said one  
2 thing that I thought was real critical. And, you know,  
3 the --- the fact that we're in this group and have the  
4 Workgroup and what comes out is a --- you know, is a  
5 proposal by this Workgroup but, you know, everyone on  
6 this Workgroup I --- I have no anticipation and would be  
7 disappointed in fact if anyone felt that they were forced  
8 to, you know, concede on their core values. Your core  
9 values that bring you --- the values that you represent  
10 that's what brings you to this Workgroup.

11 I've never been one to struggle with  
12 having to make decisions. But I --- I always want to  
13 listen to those who are informed and listen to  
14 everybody's input as I read those decisions. And that's  
15 --- that is what I hope we can foster with this  
16 Workgroup, that we'll go on and just make DEP a better  
17 organization down the road. But this is a very critical  
18 task that is put before you all and I appreciate your  
19 time and your dedication to it. And I --- I just wanted  
20 to address the group briefly and I apologize that I don't  
21 have a lot of time.

22 But just to let you know how valued your  
23 input is on this group, and everything I've heard this  
24 morning, I mean, getting past the goal obstacle, it

1 seemed like the simplest thing and it's turned into quite  
2 a debacle. I'm so glad that you all have reached a  
3 consensus on that to move forward. And really, I won't  
4 take up more of your time. I know you've got a lot of  
5 work to do here.

6                   But as you dealt with --- and the science,  
7 that's an important thing that needs to come out of this.  
8 Yeah, we --- we need --- we need scientifically based  
9 information to put in for consideration for our proposal  
10 to the legislature.

11                   And I like what --- how the goals have  
12 been modified. I think it's a very much more --- it's a  
13 more straightforward approach. And I --- you know, and  
14 the fact that they do --- do offer a path, without  
15 consideration of some of the undercurrents that --- that  
16 we all know we face down the road as we get to the  
17 legislature.

18                   But you know, the fact of what comes from  
19 DEP that's what important to me. That it is --- you know  
20 we're --- we've got science-based standards to recommend  
21 that are protective for the water quality of West  
22 Virginia and --- and our citizens. I mean, that's  
23 inherently the standards are protective of citizens.

24                   But I just --- I just wanted to really

1 take time to thank you and let you know how much I  
2 appreciate and --- you know, what you're doing here and  
3 how this can really --- can really lay the foundation for  
4 some very positive moves in the future in regard to the  
5 Agency's response and --- and working in conjunction with  
6 --- with groups that represent the interest of the  
7 people. So thank you very much and unless anybody has  
8 any questions, I'd be glad to answer any briefly, but I  
9 don't want to interrupt your alls workflow. So I'll end  
10 with that.

11 MR. MANDIROLA: Thank you, sir.

12 CHAIR: Thanks, Harold.

13 MR. WARD: Thank you all very much, and I  
14 --- I have to end now, but have --- have a good day and I  
15 really appreciate everyone's efforts.

16 CHAIR: Thank you.

17 MR. MANDIROLA: Thanks.

18 CHAIR: All right.

19 There were two more questions that Larry  
20 posed that --- in that --- in that e-mail. One was how  
21 will we be facilitated in coming to our decision. And I  
22 think we've kind of gone over this, but I don't know that  
23 we're --- that our facilitation is going to change in any  
24 way. We're basically going to speak together, work

1 together, have conversations to come to our --- our  
2 consensus or our agreement or what we can live with at  
3 the end.

4 Does anybody have any feedback on that?  
5 And I don't know if you can --- if you wanted to clarify,  
6 Larry, what you were kind of going for there maybe that  
7 help too.

8 MR. HARRIS: Well, I know --- Angie I  
9 think was the one that came up with the idea, but we've  
10 talked about it now. We're going to talk about things at  
11 the meeting and if things can't be resolved perhaps in  
12 between meetings. So that's the kind of facilitation I  
13 think that we need.

14 Does that catch it, Angie?

15 MS. ROSSER: Yeah. Just that we have some  
16 --- that through our Chair here or someone else that ---  
17 who is well versed consensus building is facilitating as  
18 to what is that. I mean, there's --- there's a method to  
19 this that we've been talking about.

20 CHAIR: Do you think that we will be  
21 facilitating that facilitation as we move forward like  
22 with --- with the way that we've --- we've been working  
23 the last couple of weeks, and the way that we're talking  
24 about it in this meeting?

1                   MS. ROSSER: Yeah. I mean, I'm --- I'm  
2 hearing a change. I mean, I --- I would just clarify I  
3 completely support the consensus model for this group. I  
4 --- I think I was the one who barked out are we voting  
5 because I thought we were working under consensus and  
6 when I saw the goals changed and I thought we had  
7 consensus around the goals and when I saw them changed it  
8 --- that was just like what happened to consensus? So  
9 here --- here we are. I think --- I think we have a  
10 better common understanding. At least I feel like we do.

11                   CHAIR: Great. Excellent. Okay.

12                   So the final question that was in that  
13 e-mail was how will the meeting agendas be structured?  
14 And I think that you had spoken to this in some of that  
15 back and forth, Angie, about the agendas. You know, they  
16 come out. I --- I would send out an agenda a couple of  
17 days beforehand and say here's the agenda and I'll see  
18 you in two days. Maybe that's not the best way to do it.  
19 And that's kind of why I'm hoping that as we --- as  
20 we --- towards the end of this meeting set out what we  
21 plan to do for the coming meetings. We'll generally have  
22 an agenda for not only February, but a pretty general  
23 agenda for the --- the final meetings too by the end of  
24 this one.

1                   So I was hoping that we --- we'll do that  
2 together. And so I won't be like it's just thrown at  
3 you, like here's what we're doing, and you don't have any  
4 time to get back and --- and make a change to that if ---  
5 if you wanted to.

6                   MS. ROSSER: Yeah. I would just say ---  
7 yeah --- on the agenda --- it's a good idea. We had ---  
8 we had some understanding of the things that we had  
9 agreed to be on the December agenda that weren't. So I  
10 think that's why I had that question of just ---

11                  CHAIR: Right.

12                  MS. ROSSER: --- define how --- how would  
13 we --- be setting the path forward and ---.

14                  CHAIR: Yeah. And I think that was really  
15 to the priority pollutants.

16                  MS. ROSSER: Yes.

17                  CHAIR: And I had said at the November  
18 meeting, yeah, we can --- we can talk about that. I can  
19 look at --- more into that. And as I planned the  
20 December meeting --- well, we were going to have a --- a  
21 large presentation already, but for the most part it was  
22 that it was beyond the scope of what we needed to focus  
23 on next, you know.

24                         Like Scott was saying earlier the priority

1 pollutants are --- are beyond the --- what we have in the  
2 rule now, and it's not necessarily what we laid out as a  
3 plan for what we were going to --- I didn't want to get  
4 way down the rabbit hole of that before we really got  
5 everything else accomplished.

6           And I should have made that more clear in  
7 our November meeting. I should have just said, you know,  
8 I don't think we can do that next month because we need  
9 to do this. But I have a tendency to overpromise and  
10 want to be able to do things that I don't --- I don't  
11 have time or the scope to do at that point.

12           MS. ROSSER: Yeah.

13           CHAIR: But if we can ---.

14           MS. ROSSER: And then I think, you know,  
15 the move was like well, we'll talk about PAHs next, and  
16 maybe that's a really good idea but like to talk about  
17 why we're going to PAHs next and just get consensus  
18 around that. I mean, we have --- you know, I'm --- I  
19 have some general thoughts about these next four  
20 meetings.

21           Does it sound --- do you want to hold that  
22 to the end, Laura? Is that what you were --- you were  
23 saying?

24           CHAIR: I think so. I wanted to spend as



1 much time having this conversation as we needed to. And  
2 we will --- and then whatever --- you know we will do  
3 what --- we'll go through the rest of this, the things we  
4 have for this meeting, but if we wanted to go into that  
5 now that's fine. Whatever --- we can go into more detail  
6 about the --- about that now.

7 But what was --- what was ---?

8 MS. ROSSER: Well, maybe I can just share  
9 our --- our --- kind of our general philosophy ---

10 CHAIR: Yeah.

11 MS. ROSSER: --- on moving forward. That  
12 might set the stage or get people thinking about their  
13 --- their responses to this. I mean, where --- where we  
14 are --- where are now as we were in 2019 is that we  
15 support EPA's methodology that they're --- they have  
16 recommended the criteria.

17 And I --- I'm concerned if we would go  
18 down the road of starting to go parameter by parameter of  
19 --- of recommended criteria that comes out of EPA that  
20 we're setting a precedent --- a new kind of precedent  
21 that I haven't seen the EPA take before.

22 As we heard from EPA there's a whole team  
23 of scientists who had worked on these recommended  
24 criteria for years and years. They have the budgets to do

1 it. We don't.

2                   So I'm just kind --- I mean, at some point  
3 like we've got to trust in these career scientists and I  
4 don't know that IUPAC is place to cite that each and  
5 every compound, like everything. Like I'm --- I'm  
6 thinking ahead to what we might be dealing with hopefully  
7 the not too distant future, which is coming from EPA in  
8 terms of recommended criteria for PFAST compounds.

9                   CHAIR: Uh-huh (yes).

10                  MS. ROSSER: I mean, that's maybe 20, 40.  
11 I don't know how many.

12                  CHAIR: Right. And they're certainly  
13 working on that.

14                  MS. ROSSER: Is this representing --- is  
15 this representing an expectation that we're going to go  
16 one by one by one through those and it'll take us six  
17 years like it has in the process to come to where we are?  
18 I mean, it's just --- if there were 2016, if there were  
19 five years ago and we were looking at this and that and  
20 this way now I might feel a little differently, but the  
21 fact that it's taken us --- it's six years later and we  
22 still don't have any updates to our Human Health  
23 Criteria. I --- I worry about just like we're --- we're  
24 going too far with this and it'll just result in

1 unnecessary delays and I don't know. This might be a bad  
2 --- this might be a bad comparison but it's on my mind,  
3 the vaccine, because like at some point you just got to  
4 trust what's going in your arm.

5 CHAIR: Oh, yeah.

6 MS. ROSSER: You know the scientist behind  
7 it and that's what EPA's role in this is. So that's our  
8 general concern with trying to dissect this too far. And  
9 --- and knowing that EPA, you know, previous to 2015 did  
10 a --- they did a whole public comment period. They had a  
11 vetting process leading up to this. So this has been ---  
12 this has been going on for --- for many years, and I just  
13 feel like we're in 2021 and we're still working on it and  
14 I don't want to set that kind of precedent.

15 CHAIR: Right. Do we have any feedback?  
16 I see Jennie's unmuted.

17 MS. HENTHORN: I do. I think that that's  
18 actually why we're here. I think that we're not  
19 questioning the EPA methodology but we are questioning  
20 the numbers that are in each of the slots and the  
21 calculation. So that's --- that's honestly what I  
22 thought we were going to do. If we're going to do that  
23 I'm not quite sure why we're here.

24 MS. MCPHAIL: Yeah. I --- I share those

1 concerns as well but --- but also want to be kind of fair  
2 to everybody on the call in Zoom is that, you know, yeah,  
3 it's been six years since the EPA brought these up, but  
4 really it wasn't something that cycled into our process  
5 until 2018. So I --- I don't want to --- I don't want to  
6 misrepresent the fact that we just, you know, seemingly  
7 ignored it since 2015. I --- I don't know that that's a  
8 fair assessment either. So just sort of throwing that  
9 out there.

10 CHAIR: They're absolutely not ---.

11 MS. ROSSER: I didn't say it was ignored.  
12 I didn't say it was ignored. I said it takes six years  
13 to get here. And I just --- and yeah, we --- EPA started  
14 public meetings about this in 2017. We had many  
15 discussions around this and we ---.

16 MS. HENTHORN: Well, you've all heard me  
17 say this. I mean, that's why I was to the ---.

18 CHAIR: We --- I --- I would ---.

19 MR. MANDIROLA: Keep one thing in mind  
20 everyone. Keep one thing in mind. I mean, the one thing  
21 we have seen just from some previous demonstrations, the  
22 information meetings that we've had, you know, we've  
23 looked more recent science updates that EPA has done on  
24 PAHs. We've looked at IRIS, that EPA has new numbers in

1 there that are different than the numbers used during the  
2 '15 update.

3       So I mean, I understand folks may not think we're  
4 moving as fast as we need to, and yeah, we got --- the  
5 feds have more money and they have more science but that  
6 doesn't necessarily mean their numbers are always  
7 correct. You know, it --- it is our responsibility if  
8 we've got the manpower and the will to do it to take a  
9 look and make sure it's the right numbers for West  
10 Virginia.

11               I mean, the more --- the proposals that  
12 are out there now in this rule are based on the National  
13 Fish Consumption Advisory. You know, my recommendation  
14 in the last rule was to go with West Virginia's because  
15 it was more West Virginia specific. You know, that ---  
16 that model has changed. That's fine. But we're working  
17 to try to make sure if we're going to pull something ---  
18 put something into our rule and make folks regulatorially  
19 responsible for it in permits that it's something that's  
20 fair, accurate, it's --- it's the number that needs to be  
21 out there, okay, in order to protect human.

22               So I mean, I understand they've got more  
23 juice but, you know, I've worked with EPA for a long time  
24 on --- on other standards that, you know, sometimes their

1 science doesn't always add up. I mean, I've been  
2 fighting with them on aluminum for ten years, and their  
3 science isn't good. I --- I --- and they may think it is  
4 but that's why I'm saying I --- I don't think it's just  
5 --- we got to be careful with all of the standards we  
6 adopt and we need to move forward.

7                   And I --- and honestly I think the  
8 understanding that everyone's getting from this approach  
9 is very helpful. And, you know, I think we need to  
10 figure out how to move it forward and not dwell on where  
11 we are right now or that it's been six years. I just  
12 think we need to try to move it forward as best we can.  
13 That's my advice in order to keep --- I'd like to keep  
14 consensus --- the positive consensus for the goals moving  
15 forward and not backtrack it.

16                   You know, one thing we talked about  
17 internally between meetings and had some folks do was do  
18 some --- and rather than going through one compound at a  
19 time we put groups together. What group of these 36  
20 compounds is only affected by say the --- a change in the  
21 BAF? What group of compounds do we have in here that  
22 have new IRIS numbers that are consistent with what was  
23 put in in 2015?

24                   That may be an approach for us to start

1 moving forward in taking a look at some of those and  
2 seeing where they land because we may be able to come to  
3 some consensus on, you know, accepting new IRIS numbers  
4 when we make our --- our recommendations. But that would  
5 be the approach I would suggest when we start moving  
6 forward, is somehow --- and there's a whole host of  
7 different ways to group these things. PAHs was one.

8           You know you can look at all the PAHs  
9 because all of them are affected relatively similar to  
10 the way that benzo(a)pyrene was and --- and Ross went  
11 through that very meticulously at one of the meetings.  
12 So you know, I don't think we need to necessarily go one  
13 compound at a time. I think we can look at the science  
14 and the groups of compounds that are potentially affected  
15 by them, and that would be my initial recommendation in  
16 moving forward.

17           Does anybody have anything on that?

18           CHAIR: Yeah. I wanted to say the same  
19 kind of thing about the groupings, that Chris has put a  
20 lot of work in the last couple of weeks so we can show  
21 you guys today all --- the different ways you can group  
22 the chemicals and we can talk about which ways we want to  
23 look at them. We also added ---.

24           MR. MANDIROLA: And Ross did a really good

1 job of adding in the ---

2 CHAIR: Yeah.

3 MR. MANDIROLA: --- the database  
4 information, which was great.

5 CHAIR: And we also marked them for which  
6 --- which parameters changed a lot and which of them  
7 changed a little because Angie had asked that we show  
8 them way too. So we're trying to show them in all the  
9 different ways so that we can really look at them in  
10 groups. Yeah, we don't want to get mired down in looking  
11 at one chemical at a time either because we could use up  
12 the rest of our --- our meetings real quick and never get  
13 to --- to all of these 36 with some parameters so ---.

14 MS. HENTHORN: And that was actually what  
15 I was kind of hoping we could do today is use this as an  
16 example for how we could possibly get groups of things  
17 off the table, resolved, because I think that a long of  
18 the cancer slope factors there's not a difference between  
19 the IRIS numbers and the West Virginia numbers that were  
20 used in the --- in the calculations.

21 And maybe --- maybe we can get beyond  
22 those. Maybe there are only a few of the cancer slope  
23 factors maybe for the PAHs or maybe a few other  
24 parameters that are need to talk about. That was



1 honestly what I kind of hoping to do today is let us have  
2 the experience of trying to move things off the table.  
3 Put them in the bin of we're done with that.

4 CHAIR: Well, we're definitely going to do  
5 that today, Jennie. We got time. We're moving onto that  
6 soon.

7 MS. HENTHORN: Yeah. But I do want to  
8 make sure that you have time to set your agenda for the  
9 last four meetings. But I do think it would be nice if  
10 we tried to do a little bit of that beforehand so we can  
11 see if that model works with the group.

12 CHAIR: Yeah. And I --- and I --- I put  
13 it in --- in that kind of an order in my --- my thoughts  
14 of how we would order this meeting so that we can get  
15 through that important stuff and then --- and have this  
16 important discussion, which we're having and I think  
17 we're --- we're almost there, and then move on to these  
18 agendas for the next meetings.

19 MS. HENTHORN: Yes.

20 CHAIR: Because if we don't make it to  
21 setting a --- a very specific agenda for the May meeting  
22 by the end of the January meeting I think we'll be okay.  
23 You know, so that was --- that was my thought there.

24 MS. ROSSER: Just one more comment I have

1 on --- on a precedent we might setting. I mean, if we're  
2 looking at using a more updated numbers than the 2015  
3 criteria, you know, are we setting ourselves up to have  
4 to do this every year or every three years to look at  
5 what were the latest updates, you know? How long will  
6 they --- how long do they just there? Do you --- do you  
7 understand my question, Laura?

8           CHAIR: Yeah, I understand that. I don't  
9 know how we would approach that in the --- in the future,  
10 like if we will revisit the rule every time IRIS makes  
11 and update. But know the water quality standards rule is  
12 pretty much out there every freaking year anyway. So I  
13 don't know, you know, what --- what we would --- if we  
14 would continue on in that --- in that vein or not. But I  
15 --- and when we talked to EPA in October and since then  
16 in e-mails they were pretty clear that if an IRIS number  
17 has changed, you know, they would have obviously no  
18 problem with the State using those numbers in their  
19 calculations because that's --- that's their newest  
20 information. They don't have the resources to be  
21 completely revisiting criteria in large groups like they  
22 did in 2015 over and over again, but the IRIS numbers  
23 when they change that can always be revisited.

24           MS. ROSSER: Yeah. I mean, if we go this

1 way it just occurred to me that we might want to think  
2 about operationalizing or revisit an update that IRIS  
3 numbers change. It'd be nice if EPA did that for us.

4 CHAIR: Right. Well, we --- we do the ---  
5 we review the rule at least tri-annually and that's  
6 what's required by federal rule anyway. So it could  
7 definitely be something that we look at. It's not  
8 something we have done in the past, but you know we're  
9 looking at those now. There's no reason why we wouldn't  
10 again look to the IRIS database to see what's changed,  
11 you know, in the previous three years if we're revisiting  
12 a rule every --- the rule every three years. All right.

13 MS. ROSSER: Three --- three years would  
14 be better than 30 or 15 years.

15 CHAIR: Yes. Okay.

16 So if we have reached the end of this  
17 discussion, and I didn't plan for that to be exactly one  
18 hour, but it's pretty darn close, so we're halfway ---  
19 we've used half of our meeting and I think that is ---  
20 that's great. I just wanted this conversation to be kind  
21 of organic and go on. And I'm going to try not to  
22 inundate you guys with like big complicated slides  
23 anymore. I know that's been kind of --- you know, been  
24 just kind of talked a lot in these --- in all of the

1 meetings we've had thus far. And so moving forward we're  
2 going to do a lot less of that and that's why we haven't  
3 seen a slide yet. But I'm kind of looking at my slides  
4 as we go and the next thing is for us to get into looking  
5 at our spreadsheets --- spreadsheet, the one that Chris  
6 has been working on to kind of show you how we have  
7 grouped the chemicals or shown them in --- in a way that  
8 it would make it more easy to --- for them to --- for us  
9 to look at them. Do we want to move onto that now?

10                   And Chris, do you have that spreadsheet  
11 open? I could let you run it if you want to --- if you  
12 want to show everybody what we've been working on.

13                   MR. SMITH: I do, but the --- the version  
14 that I have open has Ross's comments in it as well.

15                   Is that okay?

16                   CHAIR: Yeah.

17                   MR. SMITH: And there's a bit more  
18 information in those, so --- and I think some of that  
19 we're not actually going to get into at this point.

20                   CHAIR: Right.

21                   MR. SMITH: Okay.

22                   CHAIR: So I --- I set it so that you can  
23 share your screen. If you select share screen and then  
24 pick which window you want to share it should popup for

1 all of us.

2 MR. SMITH: Okay.

3 Do you see it?

4 CHAIR: Yes.

5 MR. SMITH: Okay. All right.

6 So in this first spreadsheet what I did is  
7 I grouped the remaining compounds together by what  
8 equation inputs have changed between the 2002 EPA  
9 calculation and the 2015. So these are pretty self-  
10 explanatory. You can see on the first one nothing has  
11 changed, but then again, you know, the --- the standards  
12 aren't that much different, the 2.1 to 1.5. For cyanide  
13 the only thing that changed was the reference dose but  
14 not the --- bioconcentration factor.

15 So then we have a larger group here where  
16 both the bioconcentration factor --- I'm sorry. This is  
17 the group where just the bioaccumulation factor changed.  
18 So reference doses and cancer slope factors have not  
19 changed any in this group. And you can also see that in  
20 the previous calculation EPA used bioconcentration factor  
21 whereas in the newer calculation they used  
22 bioaccumulation factors. So you can --- once again, not  
23 --- not to go through every one of these individually,  
24 but in the --- in this group this is just where

1 bioaccumulation factors have changed only.

2                   So then in the next group shown here in  
3 pink, these are the compounds for which the cancer slope  
4 factor or reference dose, depending on whether it's a  
5 carcinogen or not, changed and also the bioconcentration  
6 factor, BAF, changed. So like I said I --- I don't think  
7 there's any need to go through each one of these line by  
8 line.

9                   Does anybody have any questions about this  
10 kind of grouping? Okay.

11                   I also grouped the compounds by compound  
12 --- I'm sorry, go ahead.

13                   CHAIR: So in the Ross recommendations  
14 column he has marked asked whether we should adjust the  
15 bioaccumulation factor. That --- can you talk something  
16 about --- about that for a minute, Ross, about what you  
17 were speaking about there?

18                   MR. BRITAIN: Sure. Thanks, Laura.

19                   So overall, you know, the first two  
20 categories I will say that, you know, that Chris put ---  
21 just had like the cyanide and the --- and the --- 2, 4,  
22 6-trichlorophenol, you know, I think those can be readily  
23 accepted without any problem.

24                   When you get down to where they change the

1 BCF, the BAF, this is one of those --- you know, because  
2 there's better data as I talked earlier, very early on  
3 when we first started meetings. There's very good data  
4 or better data on the bioconcentration factors and very  
5 little on the bioaccumulation factors. The  
6 bioaccumulation factor is a better number in terms of  
7 accounting for all the potential exposures, but there's  
8 just not good data on it.

9                   So with the --- with the BAFs those have  
10 been primarily derived not through experimentation but  
11 just through modeling. And I noticed with the BAFs that  
12 we're generally using in the 2015 update, that most of  
13 them did not necessarily agree with the BAFs that are in  
14 standard use among risk assessors, toxicologists such as  
15 myself and --- and even necessarily among the EPA.

16                   So if you look at those other two columns  
17 that I have over to the left of the blue column there's  
18 the --- CompTox is a relatively new data set from EPA.  
19 It's actually still in the process of being built online  
20 by the --- by EPA. This is the numbers that EPA  
21 recommends. And in the CompTox database it actually  
22 shows the --- the bioconcentration factors and the B ---  
23 and the --- that have been experimentally or model driven  
24 versus estimated, and it also has the bioaccumulation

1 factors for that.

2                   And then I also double-checked the CompTox  
3 database against my other one that I go to from the Risk  
4 Assessment Information System, and what's interesting is  
5 the bioaccumulation factors between CompTox and the Risk  
6 --- Risk Assessment Information System were in agreement.  
7 They were looking --- they were using the same numbers.  
8 And I noticed that the BAFs from CompTox did not  
9 necessarily line up with the BAFs that EPA was using in  
10 2015. Now, some of that could be because of new modeling  
11 going on for a lot of --- because this is --- like I said  
12 that's --- that's a work in progress. It's only been  
13 five years.

14                   CHAIR: I just want to interject for a  
15 second. First, I'm not sure. I don't know whether EPA  
16 --- the water quality standards people at EPA would want  
17 us or would approve us using a different BAF ---

18                   MR. BRITTAIN: Yeah.

19                   CHAIR: --- and BCF. And the other thing  
20 is I'm noticing that like on line 13 there you can see it  
21 in column F there are three BAFs and that's ---

22                   MR. BRITTAIN: Yes.

23                   CHAIR: --- and that's for the different  
24 trophic levels. There is different trophic levels and



1 they either average those together or they --- they do  
2 whatever they need to do to --- to get --- to get the  
3 right one. But in column I we've got one number.

4 MR. BRITTAIN: Yes.

5 CHAIR: And it looks like they got like 18  
6 --- 184,000 in that --- in the line that I'm looking at  
7 there for that. So they --- they arrived somewhere ---  
8 they --- they also arrived somewhere in the middle, but  
9 they --- it looks like they aren't using the three  
10 different trophic levels or if they do we don't --- we  
11 don't see that. There's ---.

12 MR. BRITTAIN: Yeah, exactly. And that  
13 --- and that's it. Is that I'd have to look into more  
14 details on how --- how they actually calculated or  
15 estimated those BAFs.

16 So that was where when I looked at the  
17 differences --- that's why --- that's why I put question  
18 marks at like, you know, which one would be appropriate.  
19 And --- you know, and I --- the --- to me the only ones  
20 that I would question is where the BAF from CompTox is  
21 like on different orders or magnitude from what they use.  
22 And like as long as we're in the same range I think it's  
23 okay to --- to accept what EPA was using in 2015.

24 But if you see significant differences in

1 terms of order or magnitude between the BAF, like ---  
2 like on line --- row 17 there. I can't --- I don't see  
3 which chemical that is.

4 CHAIR: Yeah. That's the one I'm looking  
5 at.

6 MR. BRITTAIN: It's 710 --- I'm sorry?

7 CHAIR: You --- that's --- I was looking  
8 at --- yeah, right around there too. I was actually  
9 looking at row 18. Is that the one you were talking  
10 about? Oh, you --- you did. You said 710. Okay.

11 MR. BRITTAIN: Yeah, 710. So --- yeah.  
12 So BEHP, that's what it is. So they got a 710 versus  
13 1,040. Or if you look further down ---.

14 CHAIR: And even the very next line, the  
15 chlordane ---

16 MR. BRITTAIN: Yeah.

17 CHAIR: --- the BAFs are 5,000, 44,000 ---

18 MR. BRITTAIN: Yes.

19 CHAIR: --- and 60,000 for the trophic  
20 levels ---

21 MR. BRITTAIN: Compared to three million.

22 CHAIR: --- and CompTox says 300 --- yeah,  
23 three million.

24 MR. BRITTAIN: Yeah, three million.

1 Exactly. And --- and those are the ones that makes me  
2 question like what's going on with those differences on  
3 --- on those --- on those areas. And we --- and we may  
4 want to --- you know, I would definitely say these other  
5 ones just accept them as they are, but maybe look into  
6 the ones where they're, you know, within the same order  
7 or magnitude kind of thing. But if you see significant  
8 differences like that we may want to look --- do a little  
9 bit more digging just to make sure we're comfortable with  
10 the BAF. That'd be my only, you know, potential  
11 recommendation. But ---.

12 MS. HENTHORN: Ross, can you --- so sorry.

13 MR. BRITTAIN: Sorry.

14 MS. HENTHORN: Could you send us a link to  
15 where you're getting the CompTox numbers?

16 MR. BRITTAIN: I certainly will. And ---  
17 and it's freely available on the --- on the internet. So  
18 I'll send that out to everybody right away.

19 And then --- I'm trying to think if  
20 there's anything else. And when it comes down to the  
21 next group it's the same --- that's the only group in the  
22 pink that I think we may actually need to go chemical by  
23 chemical because there's just --- there's multiple things  
24 going on with --- within that, and so we may ---

1 particularly on the RFDs and the toxicity data. Those  
2 --- those are the ones we may need to discuss  
3 individually, go line by line.

4 But I think the rest of them we could  
5 pretty much as a --- you know, assign them as a group and  
6 --- and say that we're --- they're in good shape and we  
7 could approve them, assuming everybody else agrees with  
8 them.

9 CHAIR: So Ross, would you say that in the  
10 group that's yellow, the group where the BCFs and BAFs  
11 changed ---

12 MR. BRITTAIN: Uh-huh (yes).

13 CHAIR: --- would it make sense to remark  
14 the ones where you say adjust BAF and really just mark  
15 the ones that significantly change like chlordane?

16 MR. BRITTAIN: Yeah.

17 CHAIR: Maybe that one we need to think  
18 about whether we adjust the BAF.

19 MR. BRITTAIN: Yeah.

20 CHAIR: And maybe we could remark this  
21 column so that we're really only focusing in on those.

22 MR. BRITTAIN: Yeah. I think that would  
23 be a good --- a good way to --- and then the other ---  
24 and then the group that stays in the yellow as it is

1 right now we can --- I think we can probably just move on  
2 with, you know, say we're done with those, assuming ---

3 CHAIR: Right.

4 MR. BRITTAIN: --- everybody else is  
5 comfortable with that. And then we can look further into  
6 the BAFs for those other ones. And that could be  
7 something ---.

8 MS. CROWE: I don't have the --- the  
9 formula memorized, so can you explain how changing the  
10 reference dose or the bioaccumulation factor would affect  
11 the --- the criteria? Does that question make sense?

12 CHAIR: Yes, absolutely. I'm trying to  
13 bring up the --- the ---.

14 MR. MANDIROLA: And in this particular  
15 column or case of the yellow compounds the reference  
16 doses don't change.

17 MR. BRITTAIN: Correct.

18 MR. MANDIROLA: Is that correct?

19 MR. BRITTAIN: Correct.

20 MR. MANDIROLA: It's just ---.

21 MR. SMITH: Right. Right.

22 MR. MANDIROLA: It'd just be for the BCF  
23 or BAF changes.

24 MR. SMITH: Yes. That's correct.

1                   MR. MANDIROLA: Okay. Just clarifying.

2                   CHAIR: So --- so the way that the BAF  
3 changes the --- the outcome, Autumn, is the BAF is on the  
4 bottom of the equation, on the bottom of the fraction, so  
5 it's in the denominator. So as the BAF gets larger  
6 you're just dividing the top, the numerator, by a larger  
7 number and therefore it is --- it becomes smaller.

8                   MR. SMITH: Yes.

9                   CHAIR: Right?

10                  MR. BRITTAIN: So --- yeah. If you look  
11 at the example ---.

12                  CHAIR: I don't need that from you, Ross.

13                  MR. MANDIROLA: The basic approach, Ross,  
14 if I'm not mistaken is if --- if --- if the BAF increases  
15 you're basically --- the bioaccumulation factor is  
16 higher, it's --- it's been determined that it  
17 bioaccumulates at a higher rate therefore that's going to  
18 create a situation where you're standard is going need to  
19 be low.

20                  MR. BRITTAIN: Yes. And --- and what you  
21 will generally notice is where the difference is, where  
22 the higher ones tend to be, it's on the pesticides.

23                  MR. MANDIROLA: Okay.

24                  MR. SMITH: Yeah. I just highlighted

1 Aldrin here as an example. You can see the original  
2 bioconcentration factor was 4,670, but then when the BAFs  
3 were established you got from 18,000 to 650,000 and you  
4 can see there's a decrease in the standard by two orders  
5 of magnitude. So it's two orders of magnitude lower than  
6 it was originally with this bioconcentration factor  
7 because these BAFs are so much higher than that.

8 CHAIR: Does everybody see that? That ---  
9 that's the --- that's the best way to say it. So you can  
10 see that the --- from the 2002 calculation and the 2015  
11 calculation the difference is a couple of orders of  
12 magnitude and that was affected by --- because the BAF  
13 was much higher than the BCF was.

14 MR. SMITH: And as far as the reference  
15 dose and cancer slope factor go, those are in the  
16 numerator. I actually only have one example where ---  
17 where that changed without the BCF or BAF changing. So  
18 that being in the numerator, a higher RFD or CSF would  
19 result in a higher standard.

20 CHAIR: Higher.

21 MR. SMITH: Correct, Ross?

22 MR. BRITTAIN: Yeah. That's the math.

23 MR. SMITH: Make sure you explain that.

24 MR. BRITTAIN: That's the math. Correct.

1           CHAIR: They are ---.

2           MR. SMITH: Okay.

3           CHAIR: Yeah. And --- and you can see ---  
4 and also in Chris' example cyanide where only the  
5 toxicity factor changed. It actually didn't change the  
6 criteria very much. Right? Oh, it did. It did change  
7 it a lot in that case. I was looking at something ---  
8 the wrong thing.

9           MR. BRITTAIN: And Jennie, I just sent an  
10 e-mail to everyone with the CompTox and the RAIS database  
11 links.

12           MS. HENTHORN: Thanks, Ross.

13           MR. BRITTAIN: You're welcome.

14           MR. SMITH: So in --- in pink group here  
15 both the CSF or RFD, depending on carcinogen,  
16 noncarcinogen, changed and the BAF also changed. So you  
17 see greater differences there.

18           MR. BRITTAIN: Yeah, and in --- in that  
19 case I think there may be something going with the ---  
20 like I'm looking at RFDs and they report RFDs that are  
21 not in any of the toxicology databases that I use. And  
22 I'm --- I think what's going on there is --- because you  
23 guys know more about how they're actually using their  
24 equation. I think that they've made adjustments to the



1 RFD, you know, and --- and so the RFD that's reported is  
2 after the adjustments.

3                   And that's why I can't --- like --- like  
4 that for methoxychlor, the .00002 for example. That's  
5 not in any toxicity database for RFD for methoxychlor.  
6 And so I --- I'm assuming it's adjusted, but I could be  
7 wrong about that. But I think that that --- that may ---  
8 I might have pulled out the wrong example, but I know  
9 that --- there was a couple of them. It was like I can  
10 --- I couldn't find that value anywhere.

11                   MS. HENTHORN: So those are numbers that  
12 are in the spreadsheet that I had done for today. Those  
13 are ones generally, Ross, where somebody else had done a  
14 recalculation of the IRIS number that is after the IRIS  
15 study was published. So for methoxychlor that was from a  
16 2010 California EPA more recent study that was used to do  
17 that calculation.

18                   MR. BRITTAIN: Uh-huh (yes).

19                   MS. HENTHORN: So it was an update to that  
20 IRIS number using the more recent data. And some of them  
21 are just recalculations that the IRIS criteria were  
22 calculated. The IRIS reference dose or cancer slope was  
23 calculated using an older methodology and someone went in  
24 and used the new IRIS calculation methodology and did a

1 recalculation. Because a new of these IRIS --- yeah, a  
2 number of the IRIS factors are really old.

3 MR. BRITTAIN: Yeah. Yeah. And that's  
4 the --- that's the problem with IRIS.

5 MS. HENTHORN: Yeah.

6 MR. BRITTAIN: Most --- a lot of it it's  
7 great information but some of it, particularly now, it's  
8 starting to get long in the tooth. There's more data  
9 that come out and --- and they can't get --- they don't  
10 have enough time or resources to --- mainly personnel to  
11 be able to update everything the way that they would like  
12 to.

13 MR. SMITH: Okay.

14 So I've also broken these down into  
15 compound types. I'm not sure how you useful this will be  
16 at this point, but we've got some other PAHs here. You  
17 know, we looked at that first group that the cancer slope  
18 factor is based off of benzo(a)pyrene. These are some  
19 other PAHs. Well, let's see. I --- I skipped the  
20 phenols here, these three groups of phenols, and this one  
21 is also an herbicide.

22 And I have over here in this column this  
23 is the EPA calculated these, whether they recognized  
24 these compounds as carcinogens or noncarcinogens, and

1 there's at least a couple of these where Ross, you  
2 pointed out some newer information from California EPA  
3 like for --- well, I'm getting ahead myself here.

4 MR. BRITTAIN: Yeah.

5 MR. SMITH: But anyway, in this column  
6 this is the way EPA did it. So, you know, whether they  
7 calculated it as a carcinogen, C, or noncarcinogen, NC.  
8 So we have the group of phenols and we have some more  
9 PAHs here that EPA calculated or recognized as  
10 noncarcinogenic versus the other group that we've already  
11 looked at that are based off of benzo(a)pyrene. And  
12 these actually have some reference doses. They're not  
13 all based off the same one like the other group is with  
14 the cancer slope factors.

15 And then we have the pesticides here. And  
16 then this is --- this is one that EPA calculated as a  
17 noncarcinogen, but as Ross pointed out here, California  
18 EPA recognizes this as a carcinogen and has a developed a  
19 cancer slope factor for it. And then we have phthalate  
20 esters.

21 And I have information on the --- I don't  
22 know if we want to go into this kind of level of with  
23 this about what each compound is used for. Typically  
24 phthalate esters are used as a softening agent for

1 plastics and of course pesticides.

2           CHAIR: And these --- these groupings  
3 might not be the most useful. We wanted to put them  
4 together in case we were to find any --- any research  
5 articles. They might be --- they might group the  
6 chemicals together or they might have done a research  
7 article on phthalate esters for instance. So we --- we  
8 just wanted to have that in there so we understood what  
9 kind of groups they were in.

10           MR. SMITH: Okay.

11           MR. BRITTAIN: And then there's  
12 ethylbenzene at the bottom too. That --- that's another  
13 one of the cancer versus non-cancer ones.

14           MR. SMITH: Okay.

15           Cyanide is an organic. Like I said, I do  
16 have a spreadsheet where I've gone into more detail about  
17 what these compounds are used for and where they're found  
18 and that kind of thing. But like I said I don't know if  
19 we need to go into that level of detail unless anybody  
20 wants to see anything specifically about any of these at  
21 this point.

22           CHAIR: So let's spend a few --- unless  
23 somebody has specific comments on this tab let's spend a  
24 couple more minutes looking at the original sheet tab,

1 where we've laid out a few --- showed a few more --- a  
2 few more things for you guys there, and then we'll move  
3 onto to --- to Jennie's portion.

4 MS. CROWE: Can we get a copy of this  
5 spreadsheet?

6 MR. SMITH: Sure.

7 CHAIR: Yes. I'll send it to you or Chris  
8 will send it to you.

9 MR. SMITH: Okay.

10 It just --- it has the same information  
11 we've been looking at. The compound type is over here in  
12 this column. We just started with the remaining  
13 compounds that we're looking at. These first ones are  
14 the ones that we've already proposed, the ones in orange  
15 here. So we got the ---.

16 CHAIR: So we --- we've kind of put  
17 together the information on a previous tab on this format  
18 so you can kind of see it boiled down. So the column B  
19 there is the --- is just the information we were just  
20 looking at. Column C is what changed in the calculation.

21 And Chris, if you can go --- if you can go  
22 ahead and talk about this column that you've gone to?

23 MR. SMITH: Oh, yes. This is the one  
24 where Angie had requested that we have a look at --- at

1 --- to --- you know by extent some of these had changed.  
2 Which ones had changed the most essentially.

3                   So I've just put a little description in  
4 there about how much difference there is between West  
5 Virginia's current recommended category A criteria versus  
6 EPA's 2015 recommended criteria. And then I highlighted  
7 in yellow where we see --- and the two that were a  
8 greater difference, which I just went ahead in column  
9 nine an order of magnitude that was close enough ten.

10                   So the ones that have changed  
11 substantially are highlighted in a --- or are  
12 substantially lower, being an order of magnitude or  
13 greater lower than West Virginia's currently --- current  
14 standard are highlighted in yellow. And then there are  
15 some others that have changed too, but they're not nearly  
16 as --- you know not an order of magnitude, nothing that  
17 serious. And then there's only this one that's an order  
18 of magnitude higher of a gain of BHC.

19                   MR. BRITAIN: Which has also been banned  
20 for its main agricultural use.

21                   MR. SMITH: Yeah.

22                   Well, if that helps, we can see that, you  
23 know, the remaining --- standard --- sorry, compounds  
24 that we're looking at, all of them with the exception of

1 --- of three here are lower. The EPA's recommended 2015  
2 criteria are lower than West Virginia's current  
3 standards. So that's DDT, gamma-BHC and methyl bromide.  
4 And all --- all the rest are actually lower than what  
5 West Virginia currently has. So I think --- yeah, that's  
6 all the information that I have on this spreadsheet.

7 Does anybody have any questions about any  
8 of those?

9 MR. HARRIS: So this grouping, Chris, and  
10 --- well, we've seen several groupings. It seems to me  
11 that if --- if the --- if the new standards are --- are  
12 more protective or lower, that's one category of stuff.  
13 Right. And then there's things that didn't change much.  
14 We'd probably come to a quicker agreement on those kind  
15 of things. And then look more specifically at the ones  
16 that are higher. That's one way to think about it. I  
17 guess that's what --- what you were shooting for.

18 MR. SMITH: Right. I mean, we --- I  
19 didn't actually group them specifically that way, but I  
20 certainly could, and I could certainly group them by  
21 which --- which changed the most significantly, which are  
22 not that different like, you know, these here in  
23 particular, and then which are higher. I --- I could  
24 certainly group them that way too if you'd like to see

1 that.

2 MR. HARRIS: Well, I'm just thinking back  
3 on earlier discussions that we have had where I think  
4 Angie was saying well, we don't want to go any higher  
5 than what we previously protected. But then there might  
6 be --- industry might have some feelings about other  
7 things. And --- and if we're going to come to consensus  
8 we have to know which compounds are a concern to them as  
9 well as to everybody else. So that --- that's what my  
10 question was about.

11 CHAIR: Right.

12 ~~MR. HARRIS:~~ Maybe we simplify things, you  
13 know.

14 CHAIR: Yeah. And I think that this  
15 column really is helpful in trying to simplify things like  
16 you're saying Larry. And the ones that aren't provided  
17 here all didn't change very much, whether they got higher  
18 or lower. I mean, 1.7 times --- 1.75 times lower in ---  
19 when you're talking about this kind of concentration is  
20 just really --- I mean, I believe that it's pretty  
21 insignificant to --- to most of us.

22 If we --- if we could come --- if we could  
23 have an agreement on the ones that aren't highlighted at  
24 all in column P that --- that might --- that might really



1 help because we've gone over the science. We've gone  
2 over how they're developed to a --- to a great extent.  
3 So we don't necessarily disagree with --- with the  
4 general method that EPA used. If it --- if they went  
5 through that method and they ended up with something that  
6 was 1.75 times lower do we really, you know, need to  
7 spend time on that or can we just accept it? Do we have  
8 any other feedback along those lines?

9 MR. MANDIROLA: This is Scott. I think we  
10 need to focus --- I mean, I'm not opposed to going  
11 through that and --- and seeing where everybody falls.  
12 But in my mind I think we've got a better shot of keeping  
13 consensus moving if we focus more on science on the  
14 approaches that are being made, you know, whether we  
15 agree with the BAFs. You know, not all of them. I don't  
16 think we --- we agree with all of the changes. I think  
17 there's some questions out there on where they came up  
18 with some of these BAF numbers, just as an example.

19 CHAIR: Yeah, and I see that chlordanes is  
20 one of those that didn't change very much, and I feel  
21 like if we go back and looked at that other tab it's ---  
22 was that one of them that had that significant BAF  
23 difference between what EPA used ---

24 MR. BRITTAIN: Yeah.

1                    CHAIR: --- and what is currently --- or  
2 what is at least in the CompTox database.

3                    MR. BRITTAIN: Yes.

4                    CHAIR: And again, I don't know whether  
5 EPA would approve of us using the CompTox information.  
6 I'm not really sure if that meets their criteria.

7                    MR. BRITTAIN: And that might be worth  
8 asking them.

9                    MS. HENTHORN: I don't think it ---.

10                   MR. MANDIROLA: That's kind of where I'm  
11 going on this.

12                   MR. BRITTAIN: Yeah.

13                   MR. MANDIROLA: Should we --- do we focus  
14 on some of those type of decisions? I mean, I'm not  
15 speaking for everybody, but just from what I've heard,  
16 you know, I know the environmental community is not crazy  
17 about any of these getting less stringent and I also know  
18 that, you know, industry groups aren't crazy about them  
19 getting more stringent unless we're confident in the  
20 science.

21                   So I think our first focus --- if --- if  
22 we just go down that path of what we believe --- and  
23 again, I don't want to put words in anybody's mouth. I'm  
24 just kind of summarizing my opinion of what I'm seeing.

1 You know, if we just start there then we're not going to  
2 get very far with just looking at --- we're only going to  
3 touch the ones that just barely change.

4 I think we need to try to focus as much as  
5 we can on identifying which ones we do have questions  
6 that we need to find out about as you just said, Ross.  
7 And focusing on the others if we agree with the basic  
8 science. That could be a consensus item we could come to  
9 agreement on. It may not get us to the end result of  
10 everybody agreeing on any number, but if we can go down  
11 the path at least of --- of trying to focus on the  
12 science part.

13 Does that make sense to everybody? I  
14 don't want to run into a roadblock because of policy  
15 stuff when we're trying to deal with the science stuff  
16 here at this point.

17 MS. HENTHORN: And that's kind of what I  
18 was thinking. I mean, I hate to do a spoiler alert but I  
19 go ahead and do it. I think what we were going to try  
20 say today is for the IRIS numbers, for whatever EPA has  
21 done to adjust those, they all are based on more recent  
22 science and it was --- it was truly based on either a  
23 recalculation or the use of a newer study that wasn't  
24 available when our study was done.

1                   So as a general rule we don't have any  
2 fuss with the IRIS numbers if they are adjusted upward to  
3 the more recent science. So if there's no more recent  
4 science that anybody's found for the IRIS numbers we're  
5 great with it.

6                   So I'm thinking that if we do that than we  
7 an go more this forward scientifically instead of  
8 focusing on this one's higher, this one's lower. Where  
9 our big fuss is going to be is with the bioaccumulation  
10 factors, and that's a scientific question not a --- not a  
11 higher or lower question.

12                   MR. BRITTAIN: Yeah.

13                   CHAIR: And I didn't necessarily want to  
14 keep putting off the --- Jennie presenting us with that -  
15 -- that information. So we can --- I just wanted you  
16 guys to see this and then we can move on. It might be a  
17 good time now to move onto that next part of that  
18 discussion if ---.

19                   MR. MANDIROLA: Yeah. Do folks generally  
20 agree with what I said?

21                   MR. BRITTAIN: I do, certainly.

22                   CHAIR: Yeah.

23                   MS. HENTHORN: Yeah. We --- we're looking  
24 to do this with science, and the areas where we're having

1 issues with what EPA has done is we just feel like they  
2 --- they might have tweaked their calculations but  
3 they're using out of date science.

4 MR. MANDIROLA: Larry, what's your  
5 thoughts?

6 MR. HARRIS: Well, yeah, I --- my first  
7 simple thought was just looking at what changed, but then  
8 listening to what you said, Scott, about why did it  
9 change, what's the scientific, you know, basis of it,  
10 that would be more --- a more solid way. So if we could  
11 maybe group these things where they agree with that kind  
12 of scientific approach we can get a bunch of them out of  
13 the way that way.

14 MR. MANDIROLA: Yeah. That's exactly my  
15 thinking. I just don't want to get hung up --- I don't  
16 --- I don't want to get hung up on the policy part of it  
17 at this point. I mean, I think at the end of the day at  
18 the end of this four --- next four meetings we're going  
19 to eventually have to contend with that. But I don't  
20 want to --- I --- I want to see what we can come to  
21 consensus on first as we work through this process before  
22 we get hung up on the policy part of it, because  
23 everybody is going to have --- you know, every faction is  
24 going to have a little bit different tweak on the policy.

1                   What --- what about you, Angie?    Are you  
2 good with that?

3                   MS. ROSSER:   Is what you're saying that is  
4 we come up with something that it would be universally  
5 applied to all 94?

6                   MR. MANDIROLA:   We're going to try to  
7 figure out how they apply and if we agree with the  
8 general application of it.   At the end of the day a  
9 number may go up and your folks may not like, and I get  
10 it.   That's more of a policy decision.   And, you know,  
11 we're not going to say well they --- they agreed in  
12 consensus.

13                   But we went to try to get down the path of  
14 like --- like Jennie just reflected.   You know, a lot of  
15 these IRIS numbers have changed since the 2015.   Some  
16 have gone up, some have gone down.   So some of them ---  
17 that's going to change the EPA recommendations both ways.

18                   If we take a look at the IRIS numbers and  
19 can come to a conclusion that look generally we like  
20 using the new, more updated science.   It seems like a  
21 good approach, that's fine.   At the end of the day  
22 whether --- whether different groups decide policywise we  
23 can live with that number that's further down the path.  
24 But if we can start working on consensus on some of the

1 science of it I think it gets us further on down the  
2 line.

3 MS. ROSSER: And that the science would be  
4 universally applied. It's not --- not --- we're just not  
5 picking some out. We're ---.

6 MR. MANDIROLA: We're trying not to pick  
7 --- pick and choose. We're trying to say the science is  
8 good whether the numbers go up or down, understanding  
9 that with ---.

10 MS. ROSSER: For --- for all the  
11 compounds, for all 94 I guess is what I'm saying. I mean  
12 just for ---

13 MR. MANDIROLA: I mean, at this point ---  
14 at this point, we're ---.

15 MS. ROSSER: --- for like consistency  
16 because we got 24 out there that we're likely going to be  
17 talking about.

18 MR. MANDIROLA: I understand that. But  
19 again, at this point I want to focus on these 34. I ---  
20 I have a hard time --- I --- I work in small increments.  
21 It's just the way I function.

22 MS. ROSSER: Right. I guess --- you know,  
23 it's the argument if the science is good enough for this  
24 compound it should be good enough for other compounds,

1 you know. But we ---.

2 MR. MANDIROLA: Right. I mean, the same  
3 argument is if the --- I understand what you're saying.  
4 The argument also is if the science is good enough to  
5 make it go up it's good enough to make it go down. So  
6 whether it gets less stringent or not shouldn't matter  
7 either.

8 I just wanted --- like I said, at this  
9 point I want to focus on the science we're working on  
10 with these 34. You know, I'm sure the approach we take  
11 here will guide us as we work in the future, but, you  
12 know, I can't definitely say we are always going to do it  
13 this way starting today.

14 I just wanted --- on these compounds we're  
15 working on I want to try to figure out some consensus on  
16 as much of the science as we can as we move forward.

17 Does that make sense?

18 MS. CROWE: Can I ask a question?

19 MR. MANDIROLA: Sure.

20 MS. CROWE: When the 2015 criteria were  
21 developed did they use the IRIS numbers in that from 2015?

22 MR. MANDIROLA: I think that's what Ross  
23 said, yes, but there's been updates since then.

24 Is that correct, Ross?



1                   MR. BRITAIN: By and large, yes. There's  
2 a --- there's a --- there's a couple of them I'm not sure  
3 of, and those are the cancer and noncancer ones, but I  
4 haven't looked into exactly what they did, the  
5 ethylbenzene and the lindane, gamma-BHC. Those are the  
6 two that I'm not sure exactly what they used. And I ---  
7 and I haven't had time to look in --- delve into the  
8 details yet.

9                   MR. MANDIROLA: They may be cancer slope  
10 changes based on newer studies?

11                   MR. BRITAIN: Well, it's just that IRIS  
12 does not have a cancer slope for them. But there ---  
13 there --- and this gets to --- you know what, we touched  
14 on this earlier so may be jumping ahead, but the reasons  
15 for --- for like ethylbenzene the reason they --- IRIS  
16 hasn't even assessed ethylbenzene for cancer in any way,  
17 shape or form. Okay.

18                   MR. MANDIROLA: Okay.

19                   MR. BRITAIN: EPA does not --- has ---  
20 has no recommendation for whether it's carcinogenic or  
21 not. However, there are numerous studies showing it is  
22 carcinogenic for animals and we --- and just --- and just  
23 whether it's carcinogenic for humans that requires  
24 epidemiological study and the progress it's --- it's

1 conflicted with benzene because ethylbenzene goes with  
2 benzene ---

3 MR. MANDIROLA: Okay.

4 MR. BRITTAIN: --- and gasoline and that  
5 kind of stuff.

6 So --- so there's --- there's the issue.  
7 That's why CalEPA did a --- did a --- issued a cancer  
8 slope factor, and that's everybody in --- in toxicology  
9 uses, the CalEPA numbers.

10 MR. MANDIROLA: Okay.

11 That in general --- in general, Autumn's  
12 --- the answer to Autumn's question is they used what was  
13 available in '15 and there's more data now?

14 MR. BRITTAIN: Yeah.

15 MR. MANDIROLA: Okay.

16 MR. BRITTAIN: Just --- in a new --- yeah.  
17 Generally speaking, yes.

18 MR. MANDIROLA: Does that answer your  
19 question, Autumn?

20 MR. BRITTAIN: I just --- I just have a  
21 question on a couple of them.

22 CHAIR: And I think that's --- that's  
23 along the same lines of what Jennie's going show us.

24 MR. MANDIROLA: Yeah, that's what I think.

1           Is everybody --- instead of going through  
2 one at a time can I --- you know, does --- I guess does  
3 anybody have an issue with the way --- the approach I  
4 outlined?

5           CHAIR: I don't have an issue with it.

6           MR. MANDIROLA: Go ahead. I'll ---  
7 I'll ---

8           CHAIR: I get excited when --- I get  
9 excited when I think ---.

10          MR. MANDIROLA: I will shut up again. I  
11 keep opening my mouth and I keep saying I'm not going to  
12 do it and I keep doing it. So let --- let Jennie go ---.

13          CHAIR: I just --- I just get excited when  
14 I feel like we might able to --- when --- when Chris was  
15 showing us the ones changed a little and a lot sometimes  
16 I just get overexcited to thinking like if we could agree  
17 on this or that.

18                 But I think starting with the science and  
19 obviously at the end we're going to move into --- you  
20 know, at the end of this --- this --- these meetings  
21 we're going to get to the point where we're like can you  
22 live with this, can you not live with this and we'll  
23 really get more into whether they change a little or a  
24 lot at that point. But for now we'll --- we'll go ---

1 we'll look closer at the science.

2                   And with that Jennie, if you could share  
3 your screen and show us and talk about your spreadsheet  
4 that would be awesome. I'm trying to see. Is Jennie  
5 still here?

6                   MS. HENTHORN: I am. Can you hear me?

7                   CHAIR: Okay. There you are.

8                   MS. HENTHORN: Sorry. I've got my camera  
9 off. I'm struggling with a migraine and I know I make  
10 faces when I'm --- when I'm in migraine mode. So camera  
11 is off so you all don't have to see me grimace.

12                   MR. BRITAIN: Hope you feel better.

13                   MS. HENTHORN: Oh. It's okay. It's just  
14 one of those things. We're --- we're going to walk ---  
15 we're going to power through it today.

16                   So this is the spreadsheet that we had  
17 circulated earlier and Chris had been kind enough to go  
18 in. I had used CSF and RFD. Chris went in and changed  
19 it so that it indicates cancer slope factors and  
20 reference doses for those numbers. And I missed cyanide  
21 in this spreadsheet. That was not intentional. It's not  
22 an organic and I keep tending to leave it off. It's my  
23 fault for doing that.

24                   But there are the rest of the new ones.

1 So there's a group that before the legislature this year.  
2 They're not included. These are the other 34 that we've  
3 been talking about with Jennie forgetting to put in  
4 cyanide.

5                   And what I did is just went through the  
6 IRIS database and pulled the numbers for the cancer slope  
7 factors from IRIS, from the current database, to compare  
8 those with the current cancer slope factors and reference  
9 doses that were used in the EPA 2015 criteria  
10 calculations. The red highlighting indicates which of  
11 the numbers drove the criterion calculation. So if  
12 something is both a carcinogen and a noncarcinogen one of  
13 those caused a lower criterion and EPA always uses the  
14 one that calculates the lower criterion.

15                   So for example for alpha-BHC there is both  
16 a cancer slope factor and a reference dose reported. I  
17 highlighted the cancer slope factor in red because that  
18 was the one that drove the criterion calculation. It  
19 resulted in a lower number so therefore it's the number  
20 that matters for setting a criterion.

21                   The yellow highlighting are ones where the  
22 cancer slope factor that is in IRIS is different than the  
23 cancer slope factor --- and I should --- I keep saying  
24 cancer slope factor. Either the cancer slope factor or

1 the reference dose in IRIS is different than the one that  
2 was used in the 2015 EPA calculation.

3           So some of them you'll see for the cancer  
4 slope factor say PAH, that means that EPA did not have a  
5 separate IRIS document for those but there is an IRIS  
6 document that says here's how you can calculate the other  
7 PAHs from benzo(a)pyrene. So when those occurred I just  
8 put that PAH little notation in there.

9           So what I'm going to do is I'm going to  
10 filter these to remove the yellow. That would mean that  
11 we are only showing the ones where numbers are the same  
12 between EPA's calculation and the most recent IRIS  
13 database. And if we do that you'll see that we have a 18  
14 of the 34 where EPA's number that was used in 2015 agrees  
15 with the IRIS database.

16           And what I would propose is that this  
17 might be a good starting spot. For these it's really  
18 clear, the basis. The numbers agree with the IRIS  
19 database. There's not anything that's been done that we  
20 could identify that was more recent by EPA or --- and EPA  
21 did not identify anything more recent in 2015. So it may  
22 be that right off we can say we're done considering these  
23 cancer slope factors, we're done considering these  
24 reference doses because we think that the correlation

1 between EPA 2015 and the IRIS is good, and --- and we can  
2 let that go. So any ---.

3 CHAIR: So --- so are you saying, Jennie,  
4 that for these 18 that we're looking at right now since  
5 2015 the IRIS database hasn't changed since then? Right?  
6 Is that what you're saying?

7 MS. HENTHORN: Yeah. I'm saying that  
8 honestly the IRIS database hasn't changed on most of  
9 these since the 1980s or 1990s, and --- and EPA in 2015  
10 didn't identify anything more recent. So it's --- that's  
11 probably a good baseline. And Ross, I went back and  
12 looked at the Voluntary Remediation Program and I think  
13 that these are fairly consistent with the numbers used in  
14 that as well.

15 MR. BRITAIN: Yeah. Yeah, the --- the  
16 only thing that I see out of this particular list,  
17 Jennie, that would be different is the gamma-BHC, in that  
18 --- which is also known as lindane. It's --- it's a  
19 pesticide. It was originally used a pesticide for  
20 agricultural purposes. It was banned from that so it's  
21 no longer used for that, but it's now currently used for  
22 pharmaceutical purposes, though in much lower quantities.

23 There is a --- CalEPA did develop a cancer  
24 slope factor for this. It is --- in animals has been

1 shown to cause Non-Hodgkin's lymphoma. And --- and  
2 actually the IR --- the International Agency for Research  
3 on Cancer has designated it a possible human carcinogen  
4 because of this.

5                   And --- but that EPA has not evaluated ---  
6 actually, I'm sorry, EPA also lists this one as a  
7 possible human carcinogen, just that IRIS has not gotten  
8 around to evaluating the carcinogenicity of this for a  
9 cancer slope factor because it was banned and it's ---  
10 it's a low priority for them. They have other priority  
11 chemicals since the last review that they did. Like you  
12 said they're older reviews. There's a lot more  
13 information. They haven't updated it.

14                   The California EPA went ahead and updated  
15 it because EPA said, you know, we're not --- we don't  
16 have time to deal with this and this what the CalEPA  
17 does, is that there's kind of a --- you know, like an  
18 unspoken agreement before the two that many times CalEPA  
19 will do things that EPA doesn't have time to do like the  
20 --- or energy to do, political will to do sometimes.  
21 CalEPA will go ahead and do some of the things like that.

22                   So that means the only one out of this  
23 that I would --- I would say that in my --- again like in  
24 VRP and in the toxicology world that I circulate in that



1 number is used all the time. It's a --- it's a tier  
2 three source reported as. IRIS is tier --- tier one. If  
3 the IRIS number is there you always use that. If IRIS  
4 doesn't have a number then you go down to PPRTV, which is  
5 things that have been provisionally peer reviewed for  
6 IRIS but IRIS did not make a decision on it for one  
7 reason or another, not a formal decision. They couldn't  
8 come to consensus. And then that's tier two.

9           If tier two is not available then you go  
10 to the tier three, which are the sources like CalEPA.  
11 ATSDR is another source. The Office of Pesticide Program  
12 within EPA is another source for things like this as  
13 well.

14           But anyway, that --- that'd be my only ---  
15 my only comment on this group. Otherwise I think I --- I  
16 agree with you Jennie. This group is ready to go. I  
17 would just like to see that cancer slope factor put in.

18           CHAIR: And that cancer slope factor I  
19 think for CalEPA is 1.1.

20           MR. BRITTAIN: Correct.

21           CHAIR: Did you already say that, Ross?

22           MR. BRITTAIN: Yes, correct.

23           CHAIR: Whereas the reference dose is  
24 .0047. Is that in here?

1                   MS. HENTHORN: Yes.

2                   MR. BRITTAIN: Uh-huh (yes).

3                   CHAIR: Okay. Yeah.

4                   MS. HENTHORN: So I think it would be  
5 worth us being able to hit pause and go back and look at  
6 that, Ross, because I haven't.

7                   MR. BRITTAIN: Oh, yeah. Yeah, certainly.

8                   MS. HENTHORN: And for the others, you  
9 know, I --- and --- and that's the exactly the kind of  
10 thing that I was hoping we could do, is look for those  
11 things where they might be better or more recent science  
12 that we could evaluate.

13                                 But for this group what other discussion  
14 is there? Are there things we need to specifically look  
15 at or is this the kind of thing that you guys were hoping  
16 the group could do?

17                   CHAIR: This is certainly the kind of  
18 thing that I was hoping the group could maybe agree on.  
19 If we can agree that if IRIS has changed anything in the  
20 last six years then at least for 17 of these 18 if we  
21 could say we're good with those numbers, we've --- we've  
22 reviewed the science, we looked at everything behind how  
23 EPA developed these, and we know that they use that  
24 method and there's no new information in the IRIS

1 database since then.

2 MS. HENTHORN: Yeah. And that ---.

3 CHAIR: Well, really all 18 except for  
4 maybe the question about gamma-BHC because CalEPA has ---  
5 has a cancer slope factor for it.

6 MS. HENTHORN: So I'm terrible at this  
7 consensus building stuff, and I know that there are folks  
8 on the phone that are better.

9 What would be the next step to trying to  
10 do something with that? To --- to try to see if this  
11 group has the appetite to do that?

12 CHAIR: I think that's a great --- a great  
13 question for consensus building, Jennie. What do we  
14 think would be the next step for us to be able to agree  
15 on --- on these?

16 MS. CROWE: Ross, explained about the  
17 gamma-BHC being like in that other tier where they're ---  
18 they use CalEPA.

19 Are there any others in this group?

20 MR. BRITTAIN: Not in this group.

21 MS. HENTHORN: Not in this group, but some  
22 of the others I highlighted in yellow are in that group.

23 So let's --- let's do it in reverse for a  
24 minute. I'm going to turn off my filers on these columns

1 by color. Is there a filter? And I'm also stupid using  
2 my laptop instead of my desktop. So if you all are  
3 giggling that's me not able to function without a mouse.

4                   So --- yeah. If you look over at the  
5 column called discussion over here you'll see that some  
6 of these have --- I made a note for everything that was  
7 yellow. And some of them say newer IRIS assessment. So  
8 those are all those PAHs that we talked about where we  
9 know that there's a new IRIS number in --- in our date  
10 revised you'll see here that it was 2017. That was after  
11 EPA's 2015 criteria, so there was no way they could do  
12 it.

13                   Now, for some of the others you'll see  
14 that for example on the 1, 2-dichlorobenzene you'll see  
15 that it shows a 2006 ATSDR number and it was based on a  
16 more current methodology. So on it the last time the  
17 IRIS document was revised was 1989. So in EPA in 2015  
18 went looking they found this 2006 ATSDR number and  
19 actually adjusted the reference dose accordingly.

20                   And there is actually I think one more  
21 that is California --- yeah. If you look at heptachlor  
22 --- oh, there's two more. There's this one here, a 1999  
23 California EPA, a more recent calculation that was done.  
24 Down here on methoxychlor it's the same thing, a 2010

1 California EPA recalculation. So all of these were ones  
2 that changed prior to 2015 and EPA was able to identify  
3 from one of these other tier sources, either a tier two  
4 source or a tier three source like Ross was discussing.

5 MR. MANDIROLA: May I ask you a question,  
6 Jennie? So for those three that you just read for us  
7 were pre-2015, but in 2015 EPA did not pick those up?

8 MS. HENTHORN: No. EPA did pick them up.  
9 That's why ---.

10 MR. MANDIROLA: Did. Okay. Okay. My  
11 bad.

12 MS. HENTHORN: That's why the numbers are  
13 still there.

14 MR. MANDIROLA: I misunderstood what you  
15 were saying.

16 MS. HENTHORN: And like I said I'm not ---  
17 I'm not firing on all cylinders today so if something  
18 comes out of my mouth, doesn't make sense, just know that  
19 I didn't intend it and call me on it.

20 MR. MANDIROLA: No, no, no. You --- you  
21 said it right. I just --- I flipped it in my head.

22 MS. HENTHORN: Yeah. So the red number  
23 let's --- let's go back to our methoxychlor. So in the  
24 2015 calculations EPA used that .00002. The current IRIS

1 number is .005, and it was done in IRIS in 1990. In 2015  
2 EPA went looking. They found this 2010 CalEPA number and  
3 they actually used that CalEPA number, that .00002 in  
4 their criteria calculations.

5                   And this is the kind of stuff that I  
6 believe we should be scientifically supporting. If  
7 they're --- you know, I'm supportive of what EPA did in  
8 2015, and to the extent that there are others out there  
9 where there is a more recent reassessment than IRIS. You  
10 know, like I said look at these numbers. They're all  
11 ancient except for benzo(a)pyrene. It's --- it's always  
12 --- it's always go to look for those more recent things.

13                   So realistically --- sorry, little, little  
14 fluffy dog making lots of noise. For --- for the numbers  
15 here in this table for these 34 I think that we have I  
16 personally --- this --- this is a Jennie comment. This  
17 isn't anything else. This is a Jennie comment.

18                   I don't have any issues with the numbers  
19 that EPA used for cancer slope factors and reference  
20 doses with the exceptions of the PAHs and possibly gamma-  
21 BHC, that we need to go back and look at it too. If  
22 there's something more recent than 2015 I think we need  
23 to go look at it. But for the ones that EPA used in 2015  
24 that were different than IRIS I think those are good

1 numbers and that we should go with them.

2 MR. BRITAIN: And then there's ---  
3 there's also the question about ethylbenzene and whether  
4 or not the CalEPA for ethylbenzene. I'd add that to the  
5 --- to the list as well.

6 MS. HENTHORN: Yeah, we --- yeah. You  
7 said that for it, it was the same thing. It was whether  
8 it was a carcinogen or not.

9 Right, Ross?

10 MR. BRITAIN: Yeah. Yeah. EPA has ---  
11 has not assessed --- I should say IRIS has not assessed  
12 carcinogenicity for ethylbenzene. And --- and the  
13 primary reason for that is because ethylbenzene is the  
14 component of petroleum. It always comes with benzene,  
15 and benzene is a non-human carcinogen.

16 And that's the issue. We know --- we know  
17 ethylbenzene is carcinogenic for animals. We --- we've  
18 got that. It's whether or not it's a human carcinogen.  
19 And in order to do that they need epidemiological studies  
20 which are observational rather than experimental and they  
21 can't assign causality and they had not been able tease  
22 out through epidemiological studies the difference ---  
23 the cancer relationship between ethylbenzene versus  
24 benzene.

1                   And so that's the problem they're running  
2 across and that's why they haven't done ethylbenzene and  
3 IRIS has not ethylbenzene. And they haven't --- they  
4 haven't done it from a cancer standpoint. They're kind  
5 of hoping that benzene will cover the ethylbenzene.

6                   MS. HENTHORN: Yeah.

7                   MR. BRITTAIN: So ---.

8                   MR. MANDIROLA: So I assume that --- I  
9 assume then Ross is because when they're doing  
10 observation studies there's rare situations even in  
11 industry or petroleum industry. Where you're going, the  
12 ethylbenzene with the absence of benzene?

13                   Is that correct?

14                   MR. BRITTAIN: Yeah, exactly. It's a ---  
15 it's a --- it's like the PAHs. It --- it comes with  
16 other stuff.

17                   MR. MANDIROLA: Yes. They come as a  
18 package.

19                   MR. BRITTAIN: They just don't look at  
20 ethylbenzene by itself. It's --- you just rarely see it.  
21 So it's a low priority for IRIS to deal with. That's ---  
22 that's why they haven't looked at it. But CalEPA went  
23 ahead and did it because they wanted to for their  
24 industry purposes for whatever industry purposes.



1           They went ahead and ---and did it and came  
2 up with a --- a cancer slope factor specific to  
3 ethylbenzene, and mainly because they were worried about  
4 the cumulative impacts because if you're --- if you're  
5 --- if you're exposed to benzene you're also exposed to  
6 ethylbenzene. It --- it goes together.

7           You're also usually exposed to toluene and  
8 xylene, which are also carcinogens as well. Those ---  
9 toluene and xylene are human carcinogens. So you get the  
10 --- those cumulative impacts need to be considered when  
11 we're doing risk assessment as well. So that's why  
12 CalEPA did it. They wanted to account for it.

13           MR. MANDIROLA: Okay.

14           But EPA basically the low priority was  
15 because if they've already covered benzene as a priority  
16 you're rarely going to see it even in --- even in I would  
17 say in permitting world.

18           MR. BRITTAIN: Yeah.

19           MR. MANDIROLA: You're rarely going to see  
20 ethylbenzene without --- it's going to be at a lower ---  
21 much lower concentration typically in a discharge than  
22 benzene ---

23           MR. BRITTAIN: Than benzene.

24           MR. MANDIROLA: --- already regulated as a

1 carcinogen and a much lower level. So it's of importance  
2 of EPA.

3 MR. BRITTAIN: Yeah, generally speaking.  
4 Yeah.

5 MR. MANDIROLA: I mean, it --- it appears  
6 that benzene kind of covers it. And in a discharge  
7 permit that you're --- that we would be issuing, if you  
8 have RP for ethylbenzene you have RP for benzene. You're  
9 going to have a limit for benzene and that's going to be  
10 your driving force.

11 MR. BRITTAIN: Yeah. Benzene --- benzene  
12 has a --- is extremely toxic. We know that. And that  
13 --- that drives the --- that drives the risks at all of  
14 our gasoline sites where we have ---.

15 MR. MANDIROLA: Yeah. And the reality is  
16 if you're --- if you've got treatment for benzene it's  
17 going to treat ethylbenzene ---

18 MR. BRITTAIN: Uh-huh (yes).

19 MR. MANDIROLA: --- because they act  
20 similarly.

21 Okay. Sorry. Rambling.

22 Lab geek from years ago.

23 CHAIR: So we have ---.

24 MR. HARRIS: Excuse me. I think it's true

1 that if --- I --- I understand your argument about  
2 ethylbenzene, but if it's a carcinogen in animals it's a  
3 carcinogen in humans. I don't ---.

4 MR. BRITAIN: Most likely, Larry. Yes, I  
5 would agree.

6 MR. MANDIROLA: I don't think there's any  
7 doubt there's carcinogen in both, but I think --- but my  
8 point was only that EPA is making it a low priority and  
9 IRIS because it doesn't really exist without benzene and  
10 benzene is already regulated as a carcinogen.

11 MR. HARRIS: Yeah. I got it. I get it.  
12 Yeah.

13 MR. MANDIROLA: That was my point.

14 CHAIR: Okay.

15 Can we talk for a minute, because I know  
16 we're --- we're running low on time, but this is an  
17 important conversation. Can we talk for a minute again  
18 about the 17 that --- that Jennie teased out? You know,  
19 once you --- I don't know if want to include gamma-BHC  
20 and make it --- I don't know if it was gamma-BHC. Yeah.  
21 And make it 18.

22 MR. BRITAIN: Yeah, it was gamma-BHC.

23 CHAIR: But if we --- so we just looked at  
24 those 17. And this might not be something you could

1 answer off the top of your head without having internal  
2 discussions first because I know this is a lot all at  
3 once. I mean, I had the spreadsheets since Jennie sent  
4 it too but I can't say that I completely under --- I keep  
5 getting e-mails. That I completely got it until she just  
6 explained it to us.

7                   But if we look at these 17 and if you feel  
8 like we could agree on these, is there any --- does  
9 anybody have some feedback on that, if they feel like we  
10 need more time? We could bring these --- these to the  
11 --- to the next meeting after having internal discussion  
12 amongst ourselves or we could talk about them right now.

13                   MS. CROWE: I would like more time to look  
14 at them.

15                   MS. ROSSER: Well, and I just want to back  
16 up on our approach. So I thought we were not --- going  
17 to try to avoid grouping contaminants and you know ---.

18                   MR. MANDIROLA: Well, I think where we're  
19 --- I don't think we're ---.

20                   MS. ROSSER: Wait a minute. Wait. Can I  
21 finish, Scott?

22                   MR. MANDIROLA: Sorry.

23                   MS. ROSSER: So you know, what --- what I  
24 --- the re-approach I would suggest is that we build a

1 consensus around a scientific approach for all, and it's  
2 kind of like a --- to me it might look like well, if ---  
3 if --- if this is not available in IRIS then blank, if it  
4 this then blank. If ---.

5 MS. HENTHORN: Let me --- can I try to  
6 articulate one and see if it helps, Angie?

7 MS. ROSSER: Yes.

8 MS. HENTHORN: If --- if no --- if a  
9 number has not been updated in IRIS and the IRIS number  
10 is current then we would accept the IRIS value. If a  
11 more recent tier two or their three --- okay.

12 If a new IRIS number has been done then we  
13 would use the new IRIS number as an automatic. If the  
14 IRIS number has not been updated but we're aware of a  
15 tier two or a tier three source that's been updated then  
16 we would evaluate those individually. I'm --- I'm doing  
17 this off the top of my head. But that would be --- that  
18 would be the approach I think you're talking about, is  
19 trying to develop a methodology like that. So ---.

20 MS. ROSSER: Yes. Thank you. That ---.

21 MR. MANDIROLA: And --- and that's what I  
22 was going to say. I --- I wasn't going down the path of  
23 we want to look at the end result numbers here. We don't  
24 even have the actual limits on here. Okay.

1                   MS. HENTHORN: Right.

2                   MR. MANDIROLA: What we're --- what we're  
3 agreeing to is it appears that the science approach used  
4 on these 17 we agree with because they haven't changed.  
5 And I --- I very much liked the way you articulated that,  
6 Jennie.

7                   Is it possible --- did you write that down  
8 or did you Laura?

9                   CHAIR: Yeah, I'm starting to write it  
10 down. It sounds to me like a framework approach, which  
11 would lead us through a flowchart of yes, no answers that  
12 would lead us to whether we need to do further review or  
13 whether we can accept something.

14                   MR. MANDIROLA: I don't --- I don't expect  
15 anybody to agree wholeheartedly right now, but if we  
16 could put that phrase together and send it out to  
17 everybody on the call so that they can then consider that  
18 with the spreadsheet.

19                   And --- and even if we could --- the way  
20 you broke that down Jennie was very good. If we could  
21 take and say the first part of that statement applies to  
22 these 17, the next part of that statement applies to the  
23 others in yellow that you were talking about, that were  
24 updated with better --- newer science so that folks can

1 consider that and they take a look at that and maybe have  
2 some sidebar meetings or discussions between now and the  
3 next meeting so we can come into the next meeting with  
4 --- with --- we could maybe kick out half of the --- over  
5 half of the compounds were dealing with based on the  
6 approach.

7 MS. HENTHORN: I will --- if it's okay  
8 with the group, I'll put that in like a little flowchart  
9 and you can take a look at it and maybe --- maybe use  
10 that as the starting spot.

11 MR. MANDIROLA: Does that sound like a  
12 reasonable approach for everybody?

13 MR. BRITTAIN: Okay.

14 MR. MANDIROLA: Not agreeing to anything  
15 right now. We're just agreeing to take a look at that  
16 statement and how --- what parameters it affects as far  
17 as the groups for the next meeting.

18 Everybody good with that approach?

19 MR. BRITTAIN: Uh-huh (yes).

20 MS. ROSSER: Autumn, do you have anything  
21 to add that we should be --- that ---?

22 MS. CROWE: I'm --- I'm willing to take a  
23 look at that approach. I don't know how long it's going  
24 to take me to go through all of this stuff, but I'm ---

1 I'm willing to take a look at that.

2 MR. MANDIROLA: Well, hopefully her  
3 spreadsheet and the articulation of --- of what we're  
4 talking about and Laura's sharing her --- Chris's  
5 spreadsheet with you, between the two, you should have  
6 all the information you're --- you would need in one of  
7 the two spreadsheets. Does that make sense? Hopefully  
8 at your fingertips.

9 CHAIR: Now, I think --- I think the  
10 flowchart would go a long way in helping to turn these  
11 spreadsheets into like real world like --- you know, for  
12 people that are better with words, which most of us are.  
13 You know, you look at the --- the flowchart and you're  
14 like okay, well if it has a new IRIS number this and if  
15 it doesn't then that. You know, it's --- start to look  
16 at it that way I think that will help too.

17 Okay.

18 MR. MANDIROLA: If everybody agrees with  
19 that I think that's a hugely successful start for --- for  
20 preparation for the next meeting.

21 CHAIR: Speaking of the next meeting ---.

22 MR. MANDIROLA: Consensus on that?

23 CHAIR: Yeah. Consensus on that?

24 MR. MANDIROLA: Two consensus today.



1           CHAIR: Yeah. You're going to get an  
2 e-mail, one e-mail per consensus and then maybe more, you  
3 know, so we can all see it as in black and white. That's  
4 great. So ---.

5           MR. HARRIS: If I understand --- just one  
6 more question. If I understand, Scott, what you're  
7 saying, if there has been no modifications and we  
8 accepted the science before as being rational for those  
9 17 or whatever the number was, then there would be no  
10 reason to consider changes.

11                   Is that --- is that where you're going?

12           MR. MANDIROLA: More or less. But ---  
13 Jennie is going to try to put that into words. And we're  
14 all looking at exactly the same --- but yeah. I mean,  
15 basically at least for those 17. And then the second  
16 half of her statement kind of went into what --- what she  
17 was talking about with some additional compounds in which  
18 there may have been updates to IRIS or tier one or tier  
19 approaches ---

20           MR. HARRIS: Right. Right.

21           MR. MANDIROLA: --- with additional  
22 science, and do we agree that the additional science  
23 approach should be accepted. And then if we break that  
24 into the --- the spreadsheet it'll give us the actual

1 compounds and give us some --- something to look at in  
2 relation to it before the next meeting so that we can  
3 then make --- make a --- hopefully decision or --- or a  
4 path forward next meeting on a host of these compounds  
5 that fall into that --- those two categories.

6 MR. HARRIS: Okay.

7 MR. MANDIROLA: That's my idea anyway.

8 CHAIR: Yeah. I --- I think that's a great  
9 idea.

10 So I personally have nowhere else that's  
11 more important to be than here doing this, but it is  
12 12:01 and we had wanted to plan out each meeting --- each  
13 remaining meeting. But if we can just talk for a minute  
14 about the next meeting I think that would --- that would  
15 go far and that would go --- go a long way to getting to  
16 that.

17 When --- if you looked at the slides that  
18 I sent out earlier we do --- there is --- the events  
19 happening this coming month is that the legislation  
20 session starts on February 10th and a couple weeks later  
21 we will have our Workgroup meeting. I have that proposed  
22 as February 24th.

23 I believe one thing we're definitely going  
24 to do at that meeting is talk about this --- this

1 flowchart that we're going to see, and in relation to the  
2 spreadsheets that --- that Jennie has put together.  
3 We're going to talk about whether we --- whether we  
4 thought more about this --- this --- this approach of,  
5 you know, answering yes and no questions and coming down  
6 to whether we need to look at something more or whether  
7 we agree on it. That --- that I think should definitely  
8 be on that agenda. And what --- what else do we think  
9 should be on the February agenda?

10 MR. HARRIS: Well, you mean for the March  
11 agenda. What's the next step? I mean, that was the next  
12 thing.

13 CHAIR: Yeah. And if we had had more time  
14 I almost would have wanted to start with like May even  
15 and work backwards because sometimes when I'm planning  
16 things that's the best way because I think like what's  
17 the deadline? What --- what needs to get done by that  
18 deadline?

19 And I just wanted to briefly also state  
20 that in May we're going need to have our meeting a little  
21 earlier in the month than we typically do because we're  
22 going to be cutting it close to when we need to have our  
23 consensus proposed to the Secretary and then go out to  
24 public notice, which is a 45 day comment period for Water

1 Quality Standards. And in the meantime giving the  
2 Secretary some time to digest what we --- whatever  
3 proposed to --- to him.

4 And so we get into a tight timeline when  
5 summer starts, when we get towards summer to be able to  
6 propose criteria, go through comment period, have a  
7 hearing and get it to the Secretary of State on time. So  
8 I just wanted to mention that, that we're going to be a  
9 couple weeks short there.

10 And if --- if all would like to get  
11 together again this --- in the --- in the next couple of  
12 weeks to talk more about agendas, we can do that or I can  
13 send out an agenda just later even today and we can talk  
14 about it via e-mail.

15 What you guys think would work? Okay.

16 So for the next meeting, we've got  
17 February coming up. We're definitely going to talk about  
18 whatever we receive from --- from Jennie later --- later  
19 on. And we're --- we'll look back at the compounds in  
20 the --- and I --- does --- does everybody agree that it  
21 makes more sense to look at these in groupings as to  
22 what's changed in the --- in the criteria between the  
23 previous --- the previous EPA recommendations in 2015?  
24 It seemed like that was a --- a good approach.

1                   And if you recall when we looked at that  
2 spreadsheet, that Chris brought it up, Ross had that  
3 column about adjusted BAF and we had looked at --- some  
4 of those really hadn't changed very much and we probably  
5 could not worry so much about those and maybe think more  
6 about these ones that --- that have another BAF out  
7 there, even if it's in the CompTox database. That ---  
8 that is significantly different from what EPA has used in  
9 its standards.

10                   MR. BRITTAIN: Yeah. And I think it'd be  
11 good to actually make that list of the ones that we think  
12 are significantly different and then reach back to EPA  
13 and find out --- get their thoughts on that stuff.

14                   CHAIR: Right. And --- and I'll --- I'll  
15 need to check with EPA and ask them about the CompTox  
16 database and see what their --- their feedback is on  
17 that. If that's any --- if that's something that if we  
18 were to use a different BAF that came from that database  
19 would that be acceptable to them or is that a no go.

20                   MR. BRITTAIN: Sure.

21                   CHAIR: So I will check with that ---  
22 check on them with that in the meantime, and --- and I'll  
23 bring that to the February meeting.

24                   MS. HENTHORN: There's another database

1 that's from Canada. You have to sign up to be able to  
2 get access to it, but it's actually the one that EPA used  
3 for doing their BAF, BCF work. And I'll go back and see  
4 if I can figure that out again. But it's --- it's --- I  
5 think that the CompTox and that one actually overlap and  
6 it's the older studies. I think that almost all the  
7 studies in both of those are from prior to 2000.

8 CHAIR: Thank you. That would be really  
9 helpful.

10 Is there --- does --- do we think that it  
11 gets at the agenda setting goal --- not the goal goal,  
12 but the agenda setting that if I were to come up with a  
13 proposed agenda and send it to you guys by the end of  
14 like today or --- or tomorrow, and then we can put new  
15 things on there or, you know, adjust that before we get  
16 down to the nitty-gritty of the next meeting. I just  
17 want to hold you guys all here indefinitely to do this  
18 and ---.

19 MR. MANDIROLA: Why don't you send it to  
20 us for input?

21 CHAIR: Yes.

22 MS. ROSSER: Yeah, I --- I mean ---.

23 MR. MANDIROLA: How about that?

24 MS. ROSSER: Laura, if you have ideas on

1 --- again, I think we need to have an arc that's going to  
2 get us to May and we have ---.

3 CHAIR: Yeah.

4 MS. ROSSER: So if you have thoughts on,  
5 you know, what ---.

6 CHAIR: Yeah. I send that out in an e-  
7 mail and have like an organized list of --- of agenda  
8 topics that I think get us through that arc to May when  
9 we have our --- our consensus --- consensus building  
10 final.

11 MS. ROSSER: And we have time to present  
12 the recommended --- recommended criteria we don't  
13 currently have standards for.

14 MR. MANDIROLA: Correct. We got get  
15 through there first.

16 MS. ROSSER: That's right. That's ---  
17 that's in the arc.

18 MR. MANDIROLA: Yeah --- Laura, why don't  
19 you send out a proposed for comment.

20 CHAIR: Yeah.

21 MR. MANDIROLA: And you can put in your  
22 two cents beforehand and --- and we'll work through  
23 something for the next meeting.

24 CHAIR: Okay. Great.

1                   MR. MANDIROLA: That way we don't hold  
2 everybody up. I know a lot of folks have a lot going on.

3                   CHAIR: Great.

4                   I'll send that out as Word document and  
5 turn on like commenting so that we can all comment and  
6 see what we're doing. All right.

7                   Well, I thank you all so much for being  
8 here today, and I feel like we've accomplished a lot.  
9 You'll get some things from us out here in the next few  
10 hours, that --- like our Workgroup goals and that  
11 spreadsheet. So thank you all so much and I will see you  
12 again soon. Take care.

13                   CHAIR: Good meeting.

14                   MR. BRITTAIN: Appreciate it.

15                   MS. HENTHORN: Bye.

16                                   \* \* \* \* \*

17                   VIDEO CONFERENCE HEARING CONCLUDED AT 12:09 P.M.

18                                   \* \* \* \* \*

19  
20  
21  
22  
23  
24




1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

CERTIFICATE

I hereby certify, as the stenographic reporter, that the foregoing proceedings were taken stenographically by me, and thereafter reduced to typewriting by me or under my direction; and that this transcript is a true and accurate record to the best of my ability.

I certify that the attached transcript meets the requirements set forth within article twenty-seven, chapter forty-seven of the West Virginia Code. This notarial act involved the use of communication technology.

  
Bailey Kane,  
Court Reporter